

1           **NATIONAL INSTITUTE OF STANDARDS AND TECHNOLOGY**  
2                           **Gaithersburg, Maryland**  
3           **TECHNICAL GUIDELINES DEVELOPMENT COMMITTEE (TGDC)**  
4                           **MEETING**

5                           **Wednesday, March 29, 2006**

6   **(START OF AUDIOTAPE 1, SIDE A)**

7           MR. ALLAN EUSTIS: Good morning, everybody. Could  
8 we take our seats? We're ready to begin this meeting.  
9 Well good morning, everybody. I'm Allan Eustis with the  
10 NIST Information Technology Laboratory. I welcome you  
11 all to the sixth planning session of the Technical  
12 Guidelines Development Committee. I also welcome you to  
13 the George Mason nation. Actually, it's the next state  
14 over but it's close enough to us to claim credit for  
15 their success.

16           A couple of just preliminary things that I'll go  
17 through, and then I'll hand the meeting over to Dr.  
18 Semerjian. Our usual safety slide so you're aware --  
19 we're up here on stage, or I am. You are all out here.  
20 There's an exit literally in all four corners. If there  
21 is an emergency you will see the blinking  
22 (indiscernible) lights. And those who have been here

1 before know that we have real practice emergencies here.  
2 So you'll hear a voice and then just please proceed to  
3 the nearest exit you out of the back exits can easily  
4 access, glass doors outside the building. As far as Jim  
5 Elekes is concerned and J.R., we have people down here  
6 that are willing to assist you should there be an  
7 emergency. We'll make sure you all are taken care of.

8         With that, please turn off cell phones, pagers, and  
9 other electronic devices, some of which don't work in  
10 here anyhow. But please be considerate of your other  
11 members attending this meeting. There's no food allowed  
12 in the auditorium. I've broken this rule in the past,  
13 so if you've broken it once you're allowed but not more  
14 than once. Please wear your name badge at all times for  
15 security reasons clearly. If there is anybody with  
16 hearing issues, our signers are over here, stage left.  
17 And please feel free to sit over on that side of the  
18 auditorium should you need there services. They'll be  
19 here all day long and we'll continue to check to make  
20 sure people understand that that's where the signers  
21 are. The webcast -- and I welcome all the people to our  
22 webcast. It's close-captioned, and it will be available

1 in archive format at the end of this meeting.

2 My last comment is to TGDC members that they please  
3 remember to identify themselves when they address the  
4 chair or the rest of the committee. You have a little  
5 button that turns your microphone on and off. I've  
6 actually kept records here of people who've remembered  
7 to say their names, because I have to go through the  
8 minutes of the meeting and it's very nice -- and we  
9 actually have only one person who gets an A for saying  
10 his name. And that's Paul Craft. There are a lot of  
11 D's and F's. There are a few B's: Whitney Quesenbery  
12 and J.R. Harding, and Jim Elekes when he's on the phone  
13 always identifies himself. But there were a lot of C-  
14 minuses and D's, so I'd like to see that improve please,  
15 if we could do that.

16 With that I turn the meeting over to Dr. Semerjian.

17 DR. SEMERJIAN: Good morning, everyone and welcome.  
18 I'm Hratch Semerjian. I'm the Deputy Director of the  
19 National Institute of Standards and Technology and  
20 Acting Chairman of the Technical Guidelines Development  
21 Committee for today.

22 I hereby call to order the Sixth Planning Session

1 of this committee today, Wednesday, March 29th, 2006.

2 Let us now stand and pledge allegiance.

3 (Pledge of Allegiance recited.)

4 DR. SEMERJIAN: Thank you. At this time I  
5 recognize Mr. Phil Greene as the TGDC Parliamentarian  
6 and request that he determine if a quorum of the  
7 committee is present. Mr. Greene?

8 MR. GREENE: Taking roll call for quorum.  
9 Williams?

10 DR. WILLIAMS: Here.

11 MR. GREENE: Williams is here. Berger?

12 MR. BURGER: Here.

13 MR. GREENE: Berger is here. Karmol?

14 MR. KARMOL: Here.

15 MR. GREENE: Karmol is here. Craft?

16 MR. CRAFT: Here.

17 MR. GREENE: Craft is here. Gale?

18 MR. GALE: Here.

19 MR. GREENE: Gale is here. Elekes?

20 MR. ELEKES: Here.

21 MR. GREENE: Elekes is here. Gannon?

22 MR. GANNON: Here.

1 MR. GREENE: Gannon is here. Harding?  
2 DR. HARDING: Here.  
3 MR. GREENE: Harding is here. Miller?  
4 MS. MILLER: Here.  
5 MR. GREENE: Miller is here. Purcell?  
6 MS. PURCELL: Here.  
7 MR. GREENE: Purcell is here. Quesenbery?  
8 MS. QUESENBERY: Here.  
9 MR. GREENE: Quesenbery is here. Rivest?  
10 DR. RIVEST: Here.  
11 MR. GREENE: Rivest is here. Schutzer?  
12 DR. SCHUTZER: Here.  
13 MR. GREENE: Schutzer is here. Turner Buie?  
14 MS. TURNER BUIE: Here.  
15 MR. GREENE: I'm told Turner Buie will join us by  
16 telephone. Turner Buie, are you there?  
17 MS. TURNER BUIE: Yes, I'm here.  
18 MR. GREENE: Not at the moment. And Semerjian?  
19 DR. SEMERJIAN: Here.  
20 MR. GREENE: Semerjian is here.  
21 UNIDENTIFIED SPEAKER: She is here on the phone.  
22 MR. GREENE: Turner Buie?

1 MS. TURNER BUIE: Hello?

2 MR. GREENE: Well we do have a quorum so we can  
3 proceed. Mr. Chair?

4 DR. SEMERJIAN: How many votes are necessary to  
5 carry an issue, Mr. Parliamentarian?

6 MR. GREENE: At the present we have 14. We would  
7 want eight votes.

8 DR. SEMERJIAN: Thank you, Mr. Greene. I'm pleased  
9 to return briefly as Chair of this committee. Dr.  
10 Jeffrey has been invited to appear this morning at a  
11 Senate Committee Hearing and he has asked me to fill in  
12 for him at this important TGDC public meeting.

13 This morning I look forward to working with my  
14 former colleagues on the committee. We are especially  
15 pleased that Mr. Jim Elekes representing the U.S. Board  
16 is able to participate in person today. He has been a  
17 most valuable contributor to the voting standards  
18 development work, all the TGDC subcommittee on human  
19 factors and privacy. I also welcome Ms. Sharon Turner  
20 Buie, who is participating via teleconference due to her  
21 workload as Director of Elections in Kansas City. I  
22 also understand that congratulations are in order for

1 J.R. Harding who is engaged to be married in the next  
2 few months. Congratulations, J.R.

3 Finally, let me thank all the members of the  
4 committee for reserving time on their busy schedules to  
5 participate in these proceedings. The initial  
6 recommendations for voluntary voting system standards  
7 delivered by this committee to the election assistance  
8 commission in the nine months mandated by the Help  
9 America Vote Act are the foundation for increasing the  
10 nation's trust and confidence in our voting system. In  
11 addition, this voting team has benefited from your  
12 willingness to volunteer significant time in assisting  
13 them to complete drafts or preliminary reports for  
14 future updates to the VVSG that we will review today.

15 The committee is also pleased today to have three  
16 of our (indiscernible) Election Assistance Commissioners  
17 in attendance with the commission's Executive Director  
18 and senior staff. The committee will shortly receive  
19 remarks from the EAC Commissioner, Donna Davidson  
20 (phonetic sp.), Commissioner Greg Shirehillman (phonetic  
21 sp.), and Executive Director Tom Wilkey. I look forward  
22 to their comments regarding the ongoing work of this

1 committee.

2 At this time I will entertain a motion to adopt the  
3 September 29th, 2005 meeting --

4 DR. HARDING: Mr. Chairman, this is J.R. Harding.  
5 I believe you were saying the March 29th '06 agenda.

6 DR. SEMERJIAN: Yes.

7 DR. HARDING: (Indiscernible.)

8 DR. SEMERJIAN: March 29th, 2006 meeting agenda for  
9 the Technical Guidelines Development Committee. Do I  
10 have a second?

11 DR. HARDING: Second. J.R. Yes.

12 DR. SEMERJIAN: J.R.? Okay. Any comments or  
13 discussion?

14 UNIDENTIFIED SPEAKER: Yes. Mr. Chairman, I'd like  
15 to request a slight modification to the agenda. I think  
16 there are several of us that would like to discuss the  
17 general structure of our work given where we are to  
18 assure that our efforts are being focused on where  
19 they're most needed to improve the voting system. And I  
20 think that might be most helpfully done early in the  
21 meeting, and then revisited at the end of the meeting.  
22 So if that might be agreeable, I'd make a motion to



1 amend the motion, to add a short discussion at the  
2 beginning and at the end, looking at the system, the  
3 organization of our effort.

4 UNIDENTIFIED SPEAKER: I'll second that.

5 DR. SEMERJIAN: Any other comments?

6 MR. CRAFT: Actually, I have I guess a question  
7 about the intent of the agenda, Mr. Chairman. This is  
8 Paul Craft. My grade is sliding already, I'm afraid.  
9 The agenda item, introduction of resolutions and  
10 discussions by the TGDC, am I to read that to indicate  
11 that we should not be introducing other motions and  
12 discussing motions during the body of the meeting until  
13 that point in the day? That seems to hamstring the  
14 committee quite a bit.

15 MR SEMERJIAN: No, we've actually discussed that.  
16 I think we will take resolutions where appropriate. I  
17 think some resolutions we may want to postpone until the  
18 end because there may be other discussions that may  
19 impact the resolution (indiscernible).

20 MR. CRAFT: Then I would move that the 4:15 agenda  
21 item be amended to include introduction and discussion  
22 of any resolutions not discussed earlier in the day.

1 DR. SEMERJIAN: That will be fine. We'll make the  
2 change accordingly. But if there are indeed resolutions  
3 that need to be taken up earlier on, we will do so.

4 MR. CRAFT: Okay.

5 DR. SEMERJIAN: Regarding the other -- Mr. Berger's  
6 motion, why don't we then have the discussion and  
7 presentations by Mark Skall and John Wack so that we  
8 will hear at least from the NIST people what the  
9 thinking is? And then, given that, maybe after the  
10 break we can then have a brief discussion. Is that  
11 acceptable?

12 MR. BERGER: Absolutely.

13 DR. SEMERJIAN: Is that acceptable to everyone  
14 else?

15 (No audible response.)

16 Then we will have a brief time period after the  
17 break to have a broader discussion. If that's  
18 acceptable to everyone we will proceed as such. Thank  
19 you.

20 UNIDENTIFIED SPEAKER: Mr. Chairman, as a point of  
21 procedure do we need to vote on the adoption of the  
22 agenda?

1 DR. SEMERJIAN: Yes. So could I have another  
2 motion to accept the agenda as modified?

3 UNIDENTIFIED SPEAKER: So moved.

4 DR. SEMERJIAN: Do I have a second?

5 UNIDENTIFIED SPEAKER: Second.

6 DR. SEMERJIAN: All in favor?

7 UNIDENTIFIED SPEAKERS: Aye.

8 DR. SEMERJIAN: Any opposed?

9 (No audible response.)

10 DR. SEMERJIAN: It's passed unanimously. Thank  
11 you. At this time I will entertain a motion to accept  
12 the minutes of the September 29th, 2005 meeting of the  
13 Technical Guidelines Development Committee.

14 UNIDENTIFIED SPEAKER: So moved.

15 DR. SEMERJIAN: That's in your second tab actually  
16 in the book.

17 UNIDENTIFIED SPEAKER: Mr. Chair, there was a  
18 notice that Mr. Eustin sent out regarding a correction.

19 DR. SEMERJIAN: Yes.

20 UNIDENTIFIED SPEAKER: Has that been incorporated  
21 into --

22 UNIDENTIFIED SPEAKER: Yes, it has. It's

1 incorporated.

2 DR. SEMERJIAN: Yes, I believe in the version that  
3 was on your desk this morning that change has been made.

4 UNIDENTIFIED SPEAKER: Okay.

5 UNIDENTIFIED SPEAKER: I second.

6 DR. SEMERJIAN: Okay. We have a motion on the floor  
7 and a second. Any other questions or comments?

8 (No audible response.)

9 DR. SEMERJIAN: Not hearing any, all those in favor  
10 of accepting the minutes of the September 29th meeting  
11 of TGDC, all in favor?

12 UNIDENTIFIED SPEAKERS: Aye.

13 DR. SEMERJIAN: Any opposed?

14 (No audible response.)

15 DR. SEMERJIAN: Thank you. By the way, just for  
16 your information the only resolutions that have been  
17 adopted over the last few meetings of the TGDC are here  
18 for your reference under the third tab labeled as  
19 Adopted Resolutions from the very first meeting until  
20 the last meeting, just for reference.

21 As a brief review for the public in attendance and  
22 viewing the webcast, public law 107-252, the Help

1 America Vote Act, HAVA, establishes the Technical  
2 Guidelines Development Committee. HAVA charged the  
3 members of this committee to assist the Election  
4 Assistance Commission with the development of voluntary  
5 voting system guidelines. In addition, EAC Resolution  
6 2005-1 authorizes the TGDC to continue its work beyond  
7 the development of initial Voting System Standards  
8 Guidelines. This committee's original set of  
9 recommendations for these guidelines was sent to the  
10 Executive Director of the U.S. Election Assistance  
11 Commission in accordance with HAVA's nine-month deadline  
12 on May 9th, 2005. The EAC issued draft voluntary voting  
13 system guidelines for public comment in June of 2005.  
14 The final Voluntary Voting Systems Guidelines, VVSG, was  
15 publicly announced on December 13th, 2005, and copies of  
16 the VVSG 2005 were sent to committee members in their  
17 administrating material. The guidelines are also posted  
18 on the EAC website, [www.eac.gov](http://www.eac.gov).

19 Since the last meeting the TGDC in September of  
20 2005 this staff, in coordination with the three working  
21 subcommittees of the TGDC, have continued drafting and  
22 editing preliminary reports on issues pertinent to

1 future voluntary standards development in areas of Human  
2 Factors and Privacy, Security and Transparency, and Core  
3 Requirements and Testing of voting systems. We will  
4 discuss these reports at today's plenary session.  
5 Specifically as a committee we will review, approve and,  
6 where appropriate, provide supplemental direction to  
7 NIST scientists. This guidance is critical to the  
8 development of recommendations for future voluntary  
9 voting system guidelines.

10 The time required to accomplish the agenda items  
11 means that the committee cannot take public comment at  
12 this meeting. However, there will continue to be  
13 opportunities for the public to comment on relevant  
14 issues. Additional comments and position statements  
15 regarding the work of this committee should be sent to  
16 [voting@NIST.gov](mailto:voting@NIST.gov), where they will be posted on the NIST  
17 voting website, [vote.NIST.gov](http://vote.NIST.gov). The comments we have  
18 received to date have been posted and reviewed by NIST  
19 staff and TGDC committee members.

20 At this time I note that the latest revised version  
21 of Robert's Rules of Order was adopted on July 9th, 2004  
22 to govern Technical Guidelines Development Committee and

1 sub-committee proceedings. At this time I invite EAC  
2 Commissioner Davidson to address the committee. We look  
3 forward to hearing from the EAC members.

4 MR. HARDING: Mr. Chairman?

5 DR. SEMERJIAN: Yes?

6 MR. HARDING: This is J. R. Harding. Before our  
7 past colleague and now Commission speaks, you mentioned  
8 our resolutions in our binder. And in the past we've  
9 referenced the resolutions as a kind of an overview or  
10 an intent of this group to guide the development of our  
11 guidelines. Has there been any effort made by staff to,  
12 let's say, quantify or count the integration of these  
13 philosophical statements into those draft guidelines as  
14 kind of like a check and balance thing, of the spirit of  
15 our work in fact being integrated into the VVSG? And if  
16 not, I'd like to ask that we do that.

17 DR. SEMERJIAN: Yes, we in fact, after each review  
18 of reports, we will refer to the resolutions that that  
19 particular piece of work will be in response to, so to  
20 speak. So we will have a correlation, let's say,  
21 between the work being reported and the resolutions that  
22 that particular body of work addresses.

1           MR. CRAFT: Well, Dr. Semerjian, this is Paul  
2 Craft. I guess I have the same concern that J. R. has  
3 voiced. And when we were finalizing the draft on the  
4 last version, I asked Allan Eustis for any information  
5 on that. And I've been unable to find a document that,  
6 you know, has that kind of analysis. So I would make a  
7 motion that NIST take it upon itself to do an audit or  
8 review and determine and publish a paper as to the  
9 extent of those prior motions flowing through to the  
10 standards.

11           UNIDENTIFIED SPEAKER: I'd second that, Mr.  
12 Chairman.

13           DR. SEMERJIAN: I will actually, in my comments, in  
14 my summary, you know, after each review, I will refer --  
15 it's in my notes here. I will refer to each resolution  
16 that this particular piece of work addresses. I believe  
17 the speakers will also have in their presentations, in  
18 their viewgraphs lists of resolutions that that  
19 particular work addresses. Is that sufficient?

20           UNIDENTIFIED SPEAKER: Dr. Semerjian, can you hear  
21 me?

22           DR. SEMERJIAN: No.



1 UNIDENTIFIED SPEAKER: Can you hear me now?

2 DR. SEMERJIAN: Well, maybe the volume -- keep  
3 talking. Maybe they'll have to adjust the volume.

4 UNIDENTIFIED SPEAKER: Hello? Hello?

5 DR. SEMERJIAN: Yes, that's better.

6 UNIDENTIFIED SPEAKER: If I may, I think part of  
7 the question is the reverse of what you're discussing,  
8 looking at the resolutions and seeing which have been  
9 covered, which have not. We will in the next few weeks  
10 posting on our web page that exact scenario for you with  
11 a breakdown of all the resolutions and where we are with  
12 respect to each resolution, if that's going to be  
13 helpful.

14 DR. SEMERJIAN: Is that acceptable to the members?

15 UNIDENTIFIED SPEAKER: It would be to me so long as  
16 it's a public document.

17 DR. SEMERJIAN: Well I assume that we will be  
18 posting that on our web site.

19 UNIDENTIFIED SPEAKER: Yes.

20 UNIDENTIFIED SPEAKER: And I guess if NIST intends  
21 to do something of that anyway, shall we go ahead and  
22 call the question, make an official resolution of the

1 TGDC and NIST can address it?

2 DR. SEMERJIAN: Okay. Would you like to make a  
3 resolution?

4 UNIDENTIFIED SPEAKER: I made a resolution that's  
5 been seconded.

6 DR. SEMERJIAN: Is the resolution clear? I believe  
7 the resolution is to request NIST to post on its website  
8 a list of --

9 UNIDENTIFIED SPEAKER: No, sir.

10 DR. SEMERJIAN: Okay. Would you restate the  
11 resolution?

12 UNIDENTIFIED SPEAKER: The resolution was for NIST  
13 to do an analysis of the extent to which the TDGC  
14 resolutions have flowed through into the most recent  
15 version of the Voluntary Voting System Standards, and to  
16 publish a report with those results in it.

17 DR. SEMERJIAN: Publish meaning posted on the  
18 website? Is that your --

19 UNIDENTIFIED SPEAKER: To me, these days it  
20 generally means both the production of a hard-copy  
21 document on official letterhead and posting on the  
22 agency's website.

1 DR. SEMERJIAN: Did you have a question, Ms.  
2 Quesenbery?

3 MS. QUESENBERRY: I was just wondering whether it,  
4 want it to be broader. I mean, you're asking  
5 specifically how it has; it flowed through into the  
6 current version. But I know that on Human Factors, some  
7 of our resolutions are for ongoing work which is a  
8 slightly broader question. We're working on some things  
9 that you'll hear about this afternoon that are not in  
10 the current version, but are being planned for future  
11 versions.

12 UNIDENTIFIED SPEAKER: I'd be happy to accept that  
13 as a (indiscernible) to the motion.

14 MS. QUESENBERRY: So it might be something like we  
15 ask NIST to report on the status of the resolutions in  
16 regard to work that's been done or is underway.

17 UNIDENTIFIED SPEAKER: That would be acceptable  
18 (indiscernible).

19 DR. SEMERJIAN: Any other comments?

20 DR. HARDING: Mr. Chairman, I would -- J. R.  
21 Harding. I would take that to mean that we would  
22 continue to track it from here on so it evolves as the

1 work evolves.

2 DR. SEMERJIAN: Okay.

3 MS. QUESENBERRY: (Indiscernible) is that a from  
4 time to time we request that?

5 UNIDENTIFIED SPEAKER: Well certainly at least from  
6 the same cycle as our meetings.

7 DR. SEMERJIAN: That's what I was going to say,  
8 that maybe we need to make a practice of presenting such  
9 a report, either in a presentation or at least in hard  
10 copy for the information of the committee so that we  
11 produce such a list for each TDGC meeting.

12 UNIDENTIFIED SPEAKER: Okay. I have --

13 DR. SEMERJIAN: Is that acceptable?

14 UNIDENTIFIED SPEAKER: Well I'll make you a deal.  
15 I'll temporarily withdraw the motion so the Commissioner  
16 can go ahead with her presentation. During the break we  
17 can try to put some language around it and represent it  
18 after break.

19 DR. SEMERJIAN: Thank you. Commissioner Davidson,  
20 I apologize for the delay in keeping you here.

21 MS. DAVIDSON: Not a problem.

22 DR. SEMERJIAN: But you've been a member of this

1 committee, so you know how things work.

2 MS. DAVIDSON: I understand. Well it's great being  
3 here with you today, and I do want to tell you that the  
4 Vice -- our Chair could not be here today because he's  
5 at American University. And so he sends his regrets  
6 that he couldn't be with you today. But as stated, we  
7 do have our Vice Chair in the audience. We have Ray  
8 Martinez (phonetic sp.), and you'll be hearing also from  
9 Commissioner Hillman in just a little bit. So you've  
10 got a good representation of us, and we've got staff  
11 here. And as you said, Tom Wilkey is also here for  
12 presentations.

13 As you've just reviewed -- and Dr. Semerjian, you  
14 took part of my speech so I will try not to go into a  
15 lot of that. But we did have a busy 2005. We  
16 accomplished a great deal. Within the nine months  
17 you've got it to the EAC, and by December 13th,  
18 obviously we had standards. And we're very pleased  
19 about that. The help that we received from NIST , we  
20 publicly want everybody to know in reviewing all the  
21 2,000 -- I mean, excuse me -- 6,000 comments that were  
22 out there, we had lots of support from the NIST group.

1 And I want to really say thank you.

2 And as we look forward, we know we have a lot of  
3 work to come. We have the work on future iterations  
4 that are already underway, that you've got a lot of  
5 resolutions you're going to be talking about today. And  
6 we have the certification program that's top priority  
7 also, and I'll go into it a little bit coming up.

8 We've come a long ways in a short time as I said.  
9 And as a former TDGC member as you just referred to, I  
10 understand how hard you work. I want to thank each and  
11 every one of you for your loyalty of being here  
12 constantly, as often as you can, and also for attending  
13 by phone when you can't be here. So it's really  
14 rewarding to see how hard all of you worked, and we do  
15 thank you. And thanks to Dr. Semerjian for your  
16 leadership in the past, and we look forward in working  
17 with Dr. Jeffrey in the future.

18 The VVSG addresses -- in increases complexity in  
19 our voting systems, and the technology and how it  
20 impacts everything, obviously security, usability --  
21 which is a big one that I was always involved with  
22 that's near and dear to my heart -- and accessibility,

1 which is also very near and dear to all of our hearts.  
2 Work on the future iterations is ongoing. We must keep  
3 up obviously with technology. We must address the  
4 issues of security, and as we move forward the security,  
5 the software -- we also have to keep in mind wireless --  
6 the changes are unreal how it's going through  
7 everything. The VVPAT that's one that we have to keep  
8 addressing. The test suites is a big one. We're really  
9 very anxious for a lot of the test suites. And then  
10 more forms of independent verification.

11       The timeframes, you know, we've worked on the  
12 timeframes with NIST at our monthly meetings. We try to  
13 have a meeting every month. Once in a while it doesn't  
14 quite work out, but the timeframes were shared with  
15 everybody. We thought that we would be handing out, you  
16 know, maybe what we call different versions -- not  
17 really versions, but modules, we'll say, of the  
18 standards that we would be moving forward. And after we  
19 really looked at it we felt that we really couldn't  
20 accomplish that, because we talk about we'd have more  
21 public hearings -- I don't know, on page 6 is where I'm  
22 at -- more public hearings, and we really felt like that

1 sometimes we could really get into a confusion element  
2 with all of the, everybody out there. When you stop and  
3 think about it, if we got like in April the VVPAT  
4 there's issues that could take place in the future of  
5 that in this 2006 elections that maybe you want to  
6 address after that. So we really felt like the April  
7 timeframe of giving that to us, us having public  
8 hearings on it, also publicizing it, then we could have  
9 another forum come in right away that you would have. I  
10 don't remember which one it was, the nixed one, but it  
11 could cause some confusion, not only with election in  
12 people but the public outside. We could be receiving  
13 comments on more than one at a time.

14 So we looked at that and thought, you know,  
15 obviously we think the timeframe and moving forward and  
16 utilizing that as a draft, it really would help  
17 everybody if we could get them as, so that they are  
18 public obviously, you get it and it's very public, and  
19 you put it on your website so that the vendors know  
20 what's moving forward. But at the same time we've got  
21 this 2006 election that's coming up that I think we're  
22 all going to learn a great deal. And then it can be all



1 utilized and sent to us at one time.

2       The one thing that I think that is important to  
3 remember is that there can be technical amendments that  
4 we make to the 2005. If they are technical, we can  
5 actually go through that part of it and do the technical  
6 amendments and in the certification portion of it. So  
7 that will make it, we feel, more concise and be really  
8 open to everybody. And when you present everything that  
9 we have, at the end obviously the guidelines will be  
10 there for the whole iteration of it to be changed in  
11 2007. So I hope I explained that clearly enough that we  
12 expect the work to go forward, but we hope that it will  
13 be kind of like in a draft format. So if you see after  
14 the election if you need to touch that again, you have  
15 that capability before it's presented to us. And so in  
16 working that way we hope that it will be a significant  
17 improvement over what we had planned originally.

18       You know, the TGDC has been more involved with our  
19 operations than what they had been in the past, and we  
20 really enjoy having them. The Chairs, we have started  
21 inviting them to take part and be at our Standard Boards  
22 and our Boards of Advisory Meetings. We really look

1 forward in working with them, and I think that from time  
2 to time if they want to come in and be part of our  
3 monthly meetings that we have with NIST, we have no  
4 problem with doing that. Also on the other hand, we're  
5 becoming more involved and learning as you go along the  
6 process, we're going to be more involved with your  
7 communication, your weekly or every-other-week meetings  
8 that you're having over the telephone. And that way  
9 we're knowing what's going on and it's not -- we're more  
10 aware and more prepared to make decisions I think as we  
11 move forward in that area.

12       When we start looking at how we work, we also look  
13 at our budgets as another thing. And we have to work  
14 with NIST to make sure that they get the money that they  
15 need to support the TGDC and all the efforts that go  
16 behind the scenes that the NIST people are working on.  
17 So we need to work with the Congress and make sure that  
18 they get their budget. We go in hand-in-hand, where if  
19 they need an increase it doesn't decrease our funding at  
20 the EAC. Sometimes they cut one group short so they can  
21 give to another group. And obviously we want to be  
22 hand-in-hand in that proposition as we move forward.

1           The other thing that I really wanted to go into is,  
2 one of the things that we need to start looking at is  
3 how do we address the issues of people out there doing  
4 voting systems that we have not the complete standards  
5 for, like phone voting. We need to really address some  
6 of those issues. They're also utilizing and looking at  
7 ATM in the future. So these things, I think that we  
8 really need to stand back and say how do we address this  
9 and what moves do we make in the future. Also there's a  
10 big one. Congress is very intent, and we've got  
11 direction in the law that actually says we have to  
12 better serve our military and overseas voters. So we  
13 have to take that seriously. We have to move forward.

14           Getting the certification program up and running is  
15 top priority for us, not only the certification for the  
16 independent test authorities, but also taking over the  
17 certification of the voting equipment itself. That's  
18 very important to us and we are going to be part of that  
19 process of pre-assessment so we can learn what they're  
20 actually doing, the NIST Lab. And so we can move  
21 forward and be more knowledgeable in those areas. We  
22 feel it has to be a very transparent process. We need

1 to be very open with everything we do.

2       Beyond the VVSG, you know, it's only part of it.  
3 There is also that human factor element that we need to  
4 look at. And training support has to be addressed. It  
5 is hands-on; we've got to take care of it. We have a  
6 group right now doing a study on the election management  
7 guidelines that goes side-by-side with all of the  
8 standards and guidelines, really the guidelines. So our  
9 Executive Director will go more into a lot of our  
10 research programs that we're doing and give you some  
11 information there.

12       We've already proven that working together, we have  
13 accomplished a great deal. 2006 will be a very  
14 important year for all of us. It will give us a focus  
15 and shifting government's first voting system to the  
16 certification program. The election reform will always  
17 be ongoing, so there's always going to be changes that  
18 we have to consider. 2006 elections, if we have issues  
19 their timeframes are very short. By the time that the  
20 states and counties are buying their equipment, the  
21 vendors are struggling to meet all of those deadlines.  
22 And the shorter the time that they have to train judges,

1 then we have more issues because the judges haven't been  
2 trained properly, or if they equipment hasn't been  
3 tested properly at the time that they received it. So  
4 there are issues that we think could come up in this  
5 election. If it does, obviously we're going to see more  
6 in legislation possibly within states or in Congress.

7 But we also have to remember that there's a balance  
8 in the work that we're doing. The balance of the cost  
9 and how usable the equipment is for the judges and how  
10 costly it is for the election community -- because  
11 obviously we want every state to adopt our volunteer  
12 guidelines. And if we have them so stringent, we'll see  
13 them backing off because they can't afford it or if  
14 there's issues. So there's a balance there that we all  
15 have to remember. I know you understand that, and I  
16 just wish you all the very best in working forward. And  
17 I will now call on my Chairman Hillman to come up and  
18 say a few words to you. Thank you very much.

19 (Applause.)

20 DR. SEMERJIAN: Thank you, Commissioner Davidson.

21 MS. HILLMAN: Thank you, Commissioner Davidson.

22 Before I begin, let me say there was no coup this

1 morning. Paul Degregorio (phonetic sp.) is still the  
2 Chair of the Election Assistance Commission. But I am  
3 here to thank you in my capacity as last year's Chair of  
4 the Election Assistance Commission. Let me begin by  
5 saying good morning to all of you, Dr. Jeffrey in  
6 absentia, Dr. Semerjian, all the members of the  
7 committee and all the NIST staff.

8       The deliverance of the 2005 Voluntary Voting System  
9 Guidelines was a major, major accomplishment. And it  
10 was indeed a pleasure for me to have served as Chair  
11 during that time, to have completed one full year of  
12 working with the Technical Guidelines Development  
13 Committee. It was something that at the beginning of  
14 the Election Assistance Commission, we couldn't imagine  
15 how we were going to get it done, given the great  
16 obstacles. And you all were willing to come to the  
17 table even before we knew that we would have sufficient  
18 resources and a budget to complete this work. You were  
19 willing to take that risk with us, and I think it is  
20 because of that commitment and conviction that we were  
21 able to prevail. And so again I want to thank you.

22       I also want to say how important it is that the

1 guidelines were developed as a result of the different  
2 lenses that the committee members brought to the  
3 discussion. It was important to have the scientific and  
4 technical input, but it was also important to have the  
5 input of election officials to be able to bring that  
6 perspective to the complexity of this issue. And as is  
7 witnessed by the many, many comments that we received,  
8 even when we remove the redundant comments, you know,  
9 receiving several hundred comments to the draft  
10 guidelines was just incredible. It lets us know how  
11 important this issue is, particularly at a time when at  
12 least public reports remind us of the growing distrust  
13 that people have of some of the newer voting systems, at  
14 a time when the technology is developing, at a time when  
15 the federal government is taking on for the first time  
16 full responsibility for not only the development of the  
17 guidelines, but also the certification of equipment.  
18 Those three major activities coming together could  
19 create the perfect storm, or they could create the  
20 perfect solution. And I believe they will create the  
21 perfect solution. So again, I just want to thank each  
22 and every one of you for everything you're doing, and I

1 look forward to continuing our work together. Thank  
2 you.

3 (Applause.)

4 DR. SEMERJIAN: Thank you, Commissioner Hillman.  
5 Just personally I would like to say that the entire EAC,  
6 all the Commissions, Commissioner Degregorio,  
7 Commissioner Martinez, Commissioner Hillman, and  
8 Commissioner Davidson have been great supporters of this  
9 work, great supporters of NIST staff. Sometimes people  
10 get down as Commissioner Hillman said, you know,  
11 sometimes we have doubts whether this is going to get  
12 done, especially whether it's going to get done in time.  
13 So a little cheering, a little encouragement was very  
14 much on target. We appreciate your continuing  
15 encouragement and continuing support of the work of the  
16 TGDC and of this staff. So we very much appreciate all  
17 your support and your being here today. Thank you very  
18 much.

19 As was mentioned, this is a team effort. And I  
20 think the next set of presentations will reflect that  
21 team effort. Mark Skall of our Information Technology  
22 Laboratory will provide a review of NIST activities



1 since September 2005. But that will also follow up by a  
2 presentation by the EAC Executive Director. So you will  
3 see progress as seen from both side. So at this time I  
4 call on Mark Skall to give us a review of what's been  
5 accomplished over the last six months or so. Mark?

6 MR. SKALL: Thank you, Dr. Semerjian. As Dr.  
7 Semerjian said, I'm going to basically tell you  
8 essentially what's been done since the last TGDC  
9 meeting. There have been quite a few activities that  
10 NIST, with the TGDC, have been engaged with. In October  
11 of 2005 we had a Threat Analysis Workshop for Voting  
12 Systems. In November 2005 the VVSG 2007 timeline was  
13 approved. If you recall, there was a resolution at the  
14 last meeting asking NIST to look at the proposed  
15 timeline that we had developed to coordinate it with the  
16 EAC, to ensure that the dates made sense, and to modify  
17 the timeline if appropriate. And after some  
18 deliberations with the EAC, they basically accepted the  
19 timeline as it was. So that happened in November that  
20 the timeline was formally accepted by the EAC.

21 DR. SEMERJIAN: Excuse me, but I just want to point  
22 out that you have a copy of all these presentation

1 materials inside in the, behind the front cover of your  
2 binder. There's a thick package which has all the  
3 different presentations. So if you want to follow, you  
4 have that at your disposal. Thank you. Sorry for the  
5 disruption.

6 MR. SKALL: In the November to December timeframe,  
7 as the Commissioners have referred to the work we've  
8 done with them to assist the EAC in resolving the  
9 comments from the public review period on the VVSG, this  
10 was a fairly intensive effort over about six or seven  
11 weeks. There were probably six or seven NIST staff  
12 involved full time during that period that did of course  
13 take away from the work that we could do on the next  
14 iteration of the VVSG. On the other hand, it was  
15 extremely important work. Working with our partners at  
16 the EAC proved to be a tremendous experience for us, I  
17 believe for them, and I think we got the best resolution  
18 of the comments we could possibly get from that  
19 endeavor. December 2005, the VVSG was formally adopted  
20 by the EAC, and in the January, February and March  
21 period we are continuing research and development work  
22 on the next iteration of the VVSG.

1           I'd like to say a few words about the Threat  
2 Analysis Workshop that was held in October of 2005. The  
3 goal really was to arrive at a set of drivers for our  
4 requirements, mainly our security requirements. These  
5 are fairly stringent requirements that we're imposing on  
6 states, and we wanted to ensure that these requirements  
7 were driven by real threats. So in essence, you can  
8 look at the requirements as solutions to problems, and  
9 the problems are what we wanted to ensure that we had  
10 documented very precisely so that the requirements can  
11 in fact mitigate the problems. So we had this Threat  
12 Analysis Workshop that we believe was very successful.  
13 We got a lot of feedback from people at the conference  
14 as to the success of it, bringing different players  
15 together from various aspects on security, and looking  
16 at threats from various angles. We have a draft  
17 Workshop Report available on our website, and we are  
18 undergoing more extensive review to look at the threats  
19 in more detail. We also have a follow-up workshop  
20 planned for June.

21           Again, just speaking a little bit about the  
22 comments resolution, I mentioned that we were requested

1 by the EAC to work on this. And we of course felt this  
2 was a very good idea to tour jointly. And again, we  
3 analyzed comments. The EAC of course made final  
4 determinations as to the resolutions of the comments and  
5 the wording that would be actually incorporated into the  
6 standard, or into the guideline. Some of the comments  
7 that we -

8 **(END OF AUDIOTAPE 1, SIDE A)**

9 \* \* \* \* \*

10 **(START OF AUDIOTAPE 1, SIDE B)**

11 MR. SKALL: -- deemed to be appropriate for future  
12 iterations of the VVSG, and those were categorized as  
13 carry-over comments. They will impact our work on the  
14 next iteration of the VVSG.

15 I'd like to talk about the timeline now for a few  
16 minutes. The completion date when we are targeting our  
17 completed next iteration is July of 2007. Commissioner  
18 Davidson referred to this. Let me try to give perhaps  
19 my perspective on this, which I believe is the same as  
20 Commissioner Davidson's. We about a year ago met with  
21 the EAC Commissioners. And because we all knew that the  
22 next iteration would not be available for a while, July

1 2007, both the EAC and NIST were really looking for some  
2 way to get some of the requirements we're developing  
3 usable more quickly. And we thought one way to do this  
4 would be to complete modules, certain modules, and swap  
5 them, is the term we used, into the VVSG 2005 so they  
6 could take effect immediately. We figured then that way  
7 we could actually get our requirements used without  
8 waiting another year, year and a half. I think at the  
9 time that that made sense to us, and as time passed we  
10 realized there were clearly problems with this approach.

11 First of all, when we complete a module early, it's  
12 very possible that some of those requirements will  
13 change as we learn more when we're developing other  
14 requirements for the VVSG. As a perfect example, VV PAT  
15 (phonetic sp.), which is almost complete now -- it's due  
16 next month -- we will have a new module available.  
17 However, as we learn more about IV, as we learn more  
18 about human factors as we continue to develop our  
19 standard, clearly some of the VV PAT requirements will  
20 change. So that was one issue.

21 Secondly, there would be many public reviews in  
22 parallel. Some of these modules are due within a couple

1 of months of each other. They all will have to go  
2 through fairly extensive public reviews similar to the  
3 VVSG 2005. And having a couple of public reviews at the  
4 same time on similar material I think would be very  
5 confusing to the public. Vendors who are asking to be  
6 certified, that would complicate that issue as well  
7 because you would have to be very precise as to what  
8 version with what module being incorporated, one is  
9 certified too. In speaking with vendors we heard that  
10 vendors were confused by this approach, and the EAC  
11 tells us election officials were confused. So we met  
12 again with the EAC, and as Commissioner Davidson says we  
13 decided on a little different strategy. We would still  
14 complete the modules; make them available on our  
15 website. Vendors could bill to them, they will not be a  
16 part though, officially a part of the VVSG 2005. They  
17 will wait until July of 2007 to be incorporated. But  
18 giving the vendors a heads up clearly I think will help  
19 the situation. They can build to these requirements.  
20 There's a possibility some may change, but they will be  
21 in pretty good shape when we put them on our website.

22 So after making this decision, we really looked at

1 what's the best way to coordinate these modules with  
2 TGDC meetings and other meetings. And we still have  
3 modules we want to complete that we want endorsement  
4 from the TGDC. And there are really only two ways I  
5 think to promulgate these modules. One, we could have a  
6 TGDC meeting prior to each completion schedule date for  
7 each module. That really seems unwieldy. It would mean  
8 many, many more meetings of the TGDC that we feel are  
9 necessary. The second approach is not to have a TGDC  
10 meeting every time a module is about to be completed,  
11 but to do a lot of (indiscernible) with the subgroup,  
12 have the subgroup review it and endorse it. The  
13 subgroups can't vote, but clearly there would have to be  
14 acceptance from the subgroups. And then wait for the  
15 TGDC meetings to formally endorse, adopt, and/or change  
16 the drafts we've produced.

17 If you look at this plan, it seemed like the best  
18 way to schedule the upcoming TGDC meetings would be to  
19 have the first one after this in December. I think  
20 we've heard from everybody that we need to wait until  
21 after the elections for the next meeting. Clearly we  
22 need one in July when the final product is due, and

1 perhaps one in the middle in April. So that would be  
2 our thoughts on upcoming TGDC meetings to account for  
3 this schedule.

4 One other thing I want to mention that again  
5 Commissioner Davidson alluded to, FY07 we are in the  
6 President's budget to get funding for test suite  
7 development. This is something we really haven't been  
8 funded to do. Clearly we're working full time on  
9 producing the standards and the guidelines. It's clear  
10 I think to everybody that's in the community that the  
11 test suites are a very, very important part of this.  
12 They're not usually officially part of a standard. We  
13 do have a section in the VVSG on testing, and clearly  
14 that section would refer to the test suites. We  
15 actually have a field for each requirement, the  
16 documents, the test methodology used for that  
17 requirement. So we would clearly refer to the test  
18 suites. Test suites, as I think you all know, is a  
19 very, very large job. It requires a lot of resources to  
20 do these correctly. So one of the things we will be  
21 working on if the funding comes through in 2007 is three  
22 different types of test suites: one to ensure that all



1 the requirements are met correctly; another one to look  
2 at security, open-ended security testing; and a third to  
3 do the human factors testing.

4 I want to speak a few minutes about NAVLAP  
5 (phonetic sp.) accreditation. So far NAVLAP, who's  
6 conducting the internal NIST accreditation so we can  
7 make recommendations to the EAC as to what we recommend,  
8 which labs we recommend be accredited, we've received  
9 five applications. The first three applications that  
10 we've received we have scheduled on-site visits to do  
11 pre-assessments where we speak to the laboratories and  
12 get more information. And then we'll have a much better  
13 sense as to what shape they're in and how long it would  
14 be to get them up to speed for accreditation. NAVLAP  
15 has basically asked if the EAC and/or other parts of  
16 NIST Information Technology Laboratory would want to  
17 attend. And we feel it's very important to get some  
18 first-hand experience, so EAC Commissioner Davidson and  
19 I and some others will be going on the first assessment.  
20 And then there are two more labs. I mentioned there  
21 were five in total who are in the queue to be assessed  
22 next.

1           Outreach: the first iteration of the VVSG was very  
2 constrained by the time limits imposed by HAVA. And we  
3 really tried to do Outreach, but we didn't have as much  
4 time as we would like. During this next iteration we're  
5 really trying to reach out to many, many other parts of  
6 the community. Then there's, we're involved now with  
7 ITAA who has venue forum for voting system vendors that  
8 we try to coordinate with and get their inputs. We want  
9 to get inputs from as many election officials as  
10 possible and we're trying to do that as well. But we  
11 send out questions and receive answers from various  
12 people in the community that we think could help us. And  
13 we've made a lot of presentations at various forums.  
14 We're coordinating the NSF-funded Accurate (phonetic  
15 sp.) Group, and more workshops are planned.

16           We've redesigned our TGDC web pages to make them  
17 more effective. We hope that now materials and various  
18 agendas will be more easily accessible from the web.  
19 And one thing we know is we produce a lot of material  
20 and it's quite a burden to try to read these in a very  
21 short timeframe. So we're getting all material out on  
22 our web pages as soon as we possibly can. As soon as

1 they're done we have it on the web page. You don't have  
2 to wait until the meetings or two weeks before. We will  
3 have as much material as possible for you to review  
4 early on.

5       And these are just what the new web pages look  
6 like. So you can see this is the VVSG 2007 web page,  
7 and so you can see the documents are listed there with  
8 revision dates. And if you click on one of the links to  
9 one of the subgroups, for instance this is the CRT  
10 subgroup, you see the document is available there.  
11 We've added one recently, an introduction to the CRT  
12 material because we know there's a lot of material  
13 there. So we wanted to have sort of an overview  
14 document.

15       I'd like to close with some general comments. The  
16 VVSG 2007 clearly is a major, major undertaking. We're  
17 attempting at least at NIST, obviously with the support  
18 and coordination of the TGDC, to make the VVSG specific,  
19 unambiguous, and testable, to make it understandable to  
20 many, many audiences: testers, vendors, election  
21 officials, public. That's not always very easy to do  
22 because sometimes our vendors need, in fact more than

1 sometimes, always vendors need very specific  
2 requirements so that they can implement the systems  
3 correctly. But we need to do this in a way so that this  
4 is understandable to the many other audiences. It's a  
5 very interesting challenge and we've had much support  
6 from various experts and human factors assisting us on  
7 how to do that. We're reexamining all previous versions  
8 of the standards, coordinating with many groups, and  
9 working with many, many bodies.

10         And of course the VVSG is very complex. It can be  
11 hard to understand, and we want to make sure we  
12 communicate very effectively what we're doing. We have  
13 an introductory section to VVSG 2007, an overview  
14 section, and we intend to really focus on that area to  
15 make the material understandable to many, many audiences  
16 who are perhaps not as technical as some. Subsequent  
17 drafts will be in a new format which we distributed to  
18 you with different fields for each of the requirements.  
19 And one thing we've discussed is perhaps expanding the  
20 TGDC meetings. It seems to be a burden to get  
21 everything done in one day. We're thinking of perhaps a  
22 day and a half, with part of that time where we could

1 produce some overview material for better understanding  
2 of everything.

3 And lastly, these are just the presentations you'll  
4 be hearing today from the supplemental guidance, human  
5 factors and privacy, core requirements, and testing and  
6 security. So any questions before I allow our colleague  
7 Tom Wilkey to speak?

8 DR. SEMERJIAN: Mark, I would suggest that we hear  
9 from Tom also, because I think your presentations are  
10 sort of complimentary, and then maybe take questions.  
11 Because some of the questions may be addressed in Tom's  
12 presentation.

13 UNIDENTIFIED SPEAKER: Mark, has there been a date  
14 set for that June meeting that you referred to?

15 MR. SKALL: Which June meeting?

16 DR. SEMERJIAN: The workshop.

17 MR. SKALL: Yes, I believe it has. The last  
18 Thursday and Friday of the first week. I think the 5th  
19 and 6th. Does someone have a calendar? Okay. Hold on,  
20 let me check my calendar.

21 DR. SEMERJIAN: June -- is it -- what did you say?  
22 Thursday?

1 MR. SKALL: The last two days of the first week of  
2 June.

3 DR. SEMERJIAN: Thursday is June 8th.

4 UNIDENTIFIED SPEAKER: So it would be 8th to 9th  
5 of June? That would be better for me anyway.

6 DR. SEMERJIAN: So 8th and 9th? Is that what it  
7 is?

8 UNIDENTIFIED SPEAKER: And is there a location to  
9 that?

10 DR. SEMERJIAN: Is it here, or where is it going to  
11 be? Downtown?

12 MR. SKALL: Yes, June 8th and 9th. Okay, so unless  
13 there are further objections, we'll hear Tom Wilkey  
14 speak. And then Tom and I will jointly take questions.

15 DR. SEMERJIAN: Okay. Thank you, Mark. At this  
16 time I call on Mr. Tom Wilkey, Executive Director of the  
17 Election Assistance Commission, to report to the  
18 committee on the EAC's strategy for updating the  
19 voluntary guidelines and on the EAC's research projects.  
20 Tom?

21 MR. WILKEY: Thank you very much, Dr. Semerjian.  
22 It's good to be with you today. First let me say, Allan

1 Eustis, that having spent more time in meetings with  
2 Paul Craft over the years, we always knew when he was in  
3 the room.

4 First let me say that my very good friend and  
5 Commissioner Ray Martinez likes to point out every once  
6 in a while that I've been in this business so long that  
7 he was seven years old when I actually started in this  
8 business. And over those years I've made my share of  
9 boo-boo's. And I made one last night when I went to the  
10 office and picked up my notes and picked up the wrong  
11 set of notes. So this is going to be what we call the  
12 proverbial winging it. And I apologize for that, but I  
13 think between Commissioner Davidson and Mark Skall,  
14 they've done an excellent presentation of where both of  
15 us are coming from in this process

16 But first let me add my deep appreciate to the  
17 members of the Technical Guidelines Development  
18 Committee for their work that they have done thus far.  
19 I was privileged to take part in both the 1990  
20 development of the standards as well the 2002 iteration  
21 of the standards. I know what an incredible undertaking  
22 doing something like that is. And to do what you did in

1 a nine-month period was unheard of, could never have  
2 been done back in the days when we were starting this  
3 process. So no one appreciates your efforts and the  
4 work that you have done more than I do. And you are to  
5 be congratulated for that.

6 We also are very, very pleased and are very  
7 cognizant of the efforts that the staff at NIST have  
8 made in working with us in the aftermath of your  
9 presenting us with that document, and that is going  
10 through the commentary process and helping us achieve  
11 our goal of getting that document out the door by the  
12 end of the year last year. It was a major effort on the  
13 part of the staff of the EAC as well as NIST. We were  
14 very grateful for their participation. We had a few  
15 laughs while we were doing it. When you get two good  
16 New Yorkers like Mark Skall and I in a room, you know,  
17 anything can happen. So we are again very pleased with  
18 the way we worked together. We have shared and have  
19 come to be a real team in this effort, and we appreciate  
20 that very much.

21 As Commissioner Davidson mentioned, our top  
22 priority over the next few months is to get our



1 certification program up and running. You've heard  
2 comments about NAVLAP and our involvement with NAVLAP in  
3 the pre-assessment program. We're looking forward to  
4 doing that, both Commissioner Davidson, myself, and  
5 Brian Hancock of our staff, and we hope that we can  
6 continue as we move along through that process. Our own  
7 certification agenda is being developed as we speak. We  
8 have an excellent consultant working with us, and we  
9 expect to get a first draft of all of the procedures  
10 that we intend to have in place by the first week in  
11 April to our Commissioners. Hopefully after some  
12 discussion and tweaking and work on that document, we  
13 will immediately have it out for public comment. And we  
14 will keep you updated as members of the TDGC because we  
15 certainly will welcome your comments in that process.  
16 After that while there will be some ongoing legal  
17 review, certainly we hope to have that process up and  
18 running as soon as possible.

19 Mark mentioned the issues with the timeline. This  
20 staff and EAC staff spent a considerable amount of time  
21 last fall reviewing that timeline document. And as Mark  
22 so adequately stated, we thought we had come to a really

1 great idea. And we left the room that day thinking, oh,  
2 my goodness, this is great, we'll be able to get chunks  
3 of modules out the door and get them (indiscernible) and  
4 get them approved. And then as we began to, as they say  
5 peel the onion, and take a better look at a lot of  
6 issues including our statutory/regulatory process that  
7 we had to go through to get something approved, comment  
8 period, up (phonetic sp.) approved, legal research, so  
9 on and so forth, we looked at the involvement and what  
10 it would mean, not only to the vendors but to the  
11 election community.

12       And so we backed up a little and took another look  
13 at it. I think that the ideas that Mark presented to  
14 you are both now in keeping with our thoughts on this  
15 area. And you need to know as members of the committee  
16 that our staff meets as often as we can. We try to meet  
17 on a monthly basis, and we will continue to look at this  
18 and continue to try to get things out sooner, try to get  
19 things out up on the website, so that you can have a  
20 greater opportunity to look at them and then go through  
21 our regulatory process. We think that after much  
22 thought about this and much discussion that we have now

1 come up with a reasonable way to make this work, given  
2 our statutory process that we must follow and given the  
3 realities of the community at large getting this in a  
4 more appropriate fashion.

5 Mark mentioned the funding. We were very pleased  
6 the Commissioners -- to make the request to OMB to  
7 increase the funding for NIST for 07. We feel that the  
8 test suites that are part of the agenda for the '07  
9 workers are critically important. And we felt that it  
10 was necessary for us to try to make that effort earlier,  
11 get it up and running so that we did not have to spread  
12 it over a number of years. We thought it would look  
13 better in terms of the '08 election coming up, and so we  
14 were very pleased that OMB took our recommendation and  
15 it is part of the President's budget. And so we look  
16 forward hopefully to it being viewed favorably in  
17 Congress so that that work can begin immediately and  
18 there will be the necessary funds to do it, because we  
19 feel very strongly that those test suites are really the  
20 hallmark of everything that we're trying to do here.  
21 And so that being said, we are certainly hopeful that  
22 Congress hears that word and everything will move

1 forward, and we will be able to continue that.

2 I'd like to talk to you just a few minutes about  
3 some of the other projects that are going on at the AC  
4 which, while not directly related to what you are doing,  
5 certainly are peripherally related. And we thought that  
6 that would be of interest to you because we do have a  
7 number of research projects that were issued last fall  
8 and will be coming out over a period of time during this  
9 year. And certainly as I said, they're not directly  
10 related to the work you're doing but certainly in the  
11 context of the election process are part of what you are  
12 doing in a certain sense.

13 As many of you know, last year in August we issued  
14 our first guidance and statewide voter registrations  
15 list. We in September of last year came out with the  
16 first national Election Day survey. The results of that  
17 survey are up on our website. Very interesting  
18 statistics on a great number of areas that we took a  
19 look at. We are in the process right now with a  
20 research project that is nearing its completion with  
21 Rutgers University, the Eagleton Institute, on a study  
22 of provisional voter and voter ID which we are looking

1 at right now. We are looking based upon the research  
2 project that we did, our first survey, our first  
3 national survey that we did after the 2004 election. We  
4 needed to go back and take a look at that survey  
5 document, take a look at the results of that survey. And  
6 so we have convened a meeting of various people who have  
7 interest in this type of data, election officials who  
8 are working with that document over the next couple of  
9 weeks, and to convene them in our office to take a real  
10 hard look at that survey document, to make  
11 recommendations as to where we go with that document,  
12 and to get it out earlier this year so that the results  
13 of the 2006 election will be available. Our needs, our  
14 data that we will need will get into the hands of state  
15 and local election officials earlier than we had the  
16 opportunity to do in 2004.

17 One of the areas that had been a great concern of  
18 mine in the over 30 years that I have been in this  
19 business is in the area of management guidelines. As I  
20 mentioned earlier, I had the opportunity to take part in  
21 the drafting of the first set of standards in 1990. And  
22 I said at that time, you know, this is all well and good

1 and it is wonderful that we have this set of standards  
2 that talk about testing and evaluating the system and  
3 all the parts that need to go into development of a  
4 voting system. But it seemed to end there. And as a  
5 former local and state election official, I was  
6 concerned that we were missing what I call the other 50%  
7 of the battle. And that was what happens to a voting  
8 system once it arrives at the local election official's  
9 office. Where do we go from there? We've tested it,  
10 we've tested it against a set of very good standards,  
11 we've tested it with ITAs that have now gone through an  
12 accreditation process, a high-level accreditation  
13 process. But what happens now? What do we do with it?

14       There are issues of acceptance testing, pre-  
15 election testing, security requirements, warehouse  
16 requirements, training requirements, everything that  
17 goes into managing and maintaining a voting system. And  
18 so since 1990 I've been screaming, we need to have these  
19 guidelines. And so I guess one of the proudest moments  
20 that I've had since arriving at the EAC was to be able  
21 to find the necessary dollars to get this project  
22 underway, and it is a project that we are doing in

1 conjunction with the National Association of State  
2 Election Directors. And we are very grateful. You  
3 know, when you go to do something like that, you try to  
4 reach out to find the very best in the business that  
5 have the experience and level of experience to be able  
6 to do a really good product. And we are grateful to  
7 have Bert Williams (phonetic sp.), one of your  
8 colleagues, and Connie Schmidt (phonetic sp.), who is  
9 the former Election Director in Johnston (indiscernible)  
10 Kansas who came out with one of the first comprehensive  
11 documents ever for managing and maintaining voting  
12 systems, to work with us on this project. And we are  
13 looking forward to getting the first set of chapters  
14 out. We want to get them out as soon as possible.

15       As you know, and I don't think I need to tell you,  
16 as we go through this primary season and the use of new  
17 equipment throughout our nation, we see some bumps in  
18 the road. We see things happening. They will be  
19 reported in the press. Some of these things  
20 unfortunately could have been addressed had we been able  
21 to get this document out earlier. But we're going to do  
22 all we can to get information such as this, lessons

1 learned, best practices, as we move along throughout  
2 this primary season, get it up on our website and notify  
3 our election officials out there as best they can do so  
4 that these kinds of problems don't happen. So I'm very  
5 excited about this project as you can tell. I'm looking  
6 forward to it moving out the door and into the hands of  
7 election officials throughout the country.

8       One of my other interests in the many years that  
9 I've been in this business has been in the area of  
10 design of polling place materials, ballots,  
11 instructional materials. I have a long history in  
12 working with literacy groups for many years. It is a  
13 major problem in our country. It's a problem that we  
14 frankly do not like to talk about. It's the greatest  
15 nation in the world, but yet our rate of illiteracy in  
16 this country is abysmal. It is awful, and we don't like  
17 to talk about it as a powerful, well-educated, strong  
18 nation. But it is an interest that I think is  
19 absolutely necessary for us to look at in terms of the  
20 voting population. If we look across the board out in  
21 our country, we see materials being developed that are  
22 unreadable, that are hard to understand, that are hard



1 to comprehend by many of those who are taking part in  
2 our election process. And it is absolutely necessary  
3 that we try to do something about that. So we have  
4 contracted with an excellent organization, The Design  
5 for Democracy, to do a lot of work in this area of  
6 looking at ballot design, ballot structure, the flow of  
7 information, and the design of voter education materials  
8 so that we can try to do a better job of getting that  
9 information out.

10       There's another area in addition to illiteracy. It  
11 is a big concern of mine and many other people who deal  
12 with trying to educate the public, and that is where we  
13 are today in our society. We are overwhelmed with  
14 information. Stop and think about it. When you go to  
15 your mailbox every day, you look at all the stuff that  
16 is shoved in that mailbox that people want you to read.  
17 We are constantly in a barrage of the information age.  
18 I mean, as you look across this room, people have their  
19 computers out. They've become part of our daily life.  
20 Information is thrown at us on a daily basis, so we  
21 become accustomed to do really parts of things or  
22 starting out things that we get that we really want to

1 look at. My, this looks like something I want to read  
2 because it's been designed well, it's been presented  
3 well. And that's what we're trying to do in this whole  
4 area of taking a look at what's out there and coming up  
5 with some best practices to assist election officials in  
6 getting well-organized, well-designed information out to  
7 the public. We're also asking them to take a look at  
8 our present voter registration document so that we can  
9 make that easier to look at and easier to read.

10         And I see my good friend over at the end of the  
11 table there, Alice Miller. Back when we were designing  
12 our primary voter registration document in New York, we  
13 took a lot of information from the D.C. Board of  
14 Elections form which at the time was one of the most  
15 well-designed voter registration forms in the country.  
16 And many states, including my own, continue to use some  
17 of the hard work they did with the literacy group some  
18 10, 15 years ago in helping redesign that form so it was  
19 much easier to understand and to read. And so we're  
20 going to work hard in that area.

21         One of the other areas that is of great interest to  
22 us because it is absolutely the hallmark of everything

1 we do in elections -- you know, I've often said that  
2 election officials work very hard throughout the year.  
3 And with HAVA, they're even working harder. The  
4 decisions are harder; new equipment, new training, new  
5 everything that they have been faced with over the last  
6 couple of years. And on Election Day, we simply turn  
7 all of that hard work over to a group of people that  
8 work one or two days a year, our poll workers and our  
9 judges that are out in the field. And so it's  
10 absolutely necessary that we try to provide the best  
11 resources that we can bring together to assist local  
12 election officials in the area of poll worker training  
13 and poll worker recruitment.

14 We've got to do a lot more in getting more people  
15 out there to work. It's getting very difficult. As new  
16 equipment comes along, a lot of the people that have  
17 been working at the polls for 20, 30 years say, we don't  
18 want to deal with this new equipment, we can't use it,  
19 we're confused, we're not going to do it anymore. And  
20 so we must look at ways to do a better job of recruiting  
21 through our local organizations, through all kinds of  
22 activities that we can do. And so we are currently

1 working with a couple of groups under contract to come  
2 out with best practices in the area of poll worker  
3 recruitment and training.

4       We are also working with Cleveland State University  
5 in the area of doing some work with college poll worker  
6 training. We know that's our future. That is the best  
7 program, and I wish we had a lot more money to spend on  
8 that program, because that is where the effort needs to  
9 be made. We need to get our young folks interested in  
10 the election process, and there's no better way to do  
11 that than to recruit them to work at our polling places  
12 on Election Day. I have physically seen in my travels  
13 around the country that where they have utilized this  
14 type of a program in the colleges and in high schools,  
15 the students really love doing it, it peaks their  
16 interest, and they do a great job.

17       One of the other research areas that we are  
18 currently in the process of coming out with, and we will  
19 be getting a status report on it next month at our  
20 public meeting, is in the area of vote count and  
21 recounts. I know that you all witnessed through the  
22 news the elections that were held in Washington State,

1 and here just in our own area in Virginia for the office  
2 of Attorney General, where we have very close races and  
3 we had to go through a very difficult recount process.  
4 And so we're hoping to gather information, best  
5 practices, research data in that area, so that we can  
6 make that available to our state and local officials to  
7 make their lives a little bit easier.

8       One of the things that we look at as we're moving  
9 down the road and growing and growing up as a small, new  
10 agency is in the area of our clearinghouse activities.  
11 We recognize that Congress, in creating the Help America  
12 Vote Act, made one of our primary responsibilities a  
13 clearinghouse for everything you need to know about  
14 elections: election data, election information. And it  
15 is our goal over the next several years as we move along  
16 and as we become better acclimated to what is out there,  
17 that we will be able to provide -- and I like to say  
18 this to the folks that we visited up on the Hill in  
19 Congress -- that we will be able to be the number one  
20 place in America to go for anything you want to know  
21 about elections.

22       The other area that we're looking at also, and it

1 ties in with our clearinghouse activities, is that there  
2 is a lot of data out there on legal resources and legal  
3 litigation that has happened across the country. I  
4 can't tell you when I was a state election director  
5 trying to get a handle on if you were in litigation what  
6 was going on around the country, was there similar  
7 litigation, how could we put our hands on it. What if  
8 we wanted to know about a certain law in states because  
9 our legislature was looking at making a change in law?  
10 And we have to go through this elaborate process to try  
11 to find some litigation or some piece of statutory  
12 information that we could put our hands on quickly. And  
13 so we have entered into a contract with Florida State  
14 University to provide us with the beginnings of a legal  
15 resource clearinghouse where you can do one-stop  
16 shopping on our website for any piece of litigation:  
17 state election laws, federal election laws, that type of  
18 information that you can get quickly.

19 Another area that has blossomed over the last few  
20 years is in the area of public access portals. And  
21 again, that's a one-stop shop where you can call on  
22 Election Day, find out where you're registered to vote,

1 get information on who's on the ballot, where your  
2 polling place is, so on and so forth. And so we're  
3 taking a look through a contract with Pubulus (phonetic  
4 sp.) out of Detroit who has done a lot of work with the  
5 state of Michigan over the years on effective use of  
6 public access portals. What do we need to know, what  
7 kind of recommendations and best practices do we have to  
8 recommend to our states to really make them good and  
9 usable? And so we're very excited about that.

10       Those are some of the things that we're doing. Our  
11 plate is full as you can see. We continue to look at  
12 other areas. We are looking now and finishing up our  
13 '06 research activities, and I think the next time that  
14 we're together hopefully I'll have the opportunity to go  
15 through them with you.

16       I want to again share my deep thanks and appreciate  
17 for the work that you're doing. I know from first-hand  
18 experience the hard work that you are doing. I again  
19 want to express my appreciation to the staff at NIST for  
20 the good, solid working relationship that we have, and I  
21 know that it will continue. And because of that  
22 relationship, this process will be very successful.

1 Thank you.

2 (Applause.)

3 DR. SEMERJIAN: Thank you, Tom. Any questions or  
4 comments, I guess either for Tom or for Mark at this  
5 time? J. R., do you have a --

6 DR. HARDING: Yes, Mr. Chairman, thank you. I'm  
7 not certain where to go. That was an awful lot of  
8 information and I thank the speakers for the overview.  
9 I would like to hone in on accessibility issues and  
10 specifically the talk of new research, perhaps where are  
11 we with the shoulds and the shalls, with what was the  
12 threshold or justifications in moving some of our issues  
13 from one to the other, and where might we be in the  
14 future on some of that. How might we deal with the  
15 literacy rate or the cognitive issue, if you might put  
16 it in disability language, and then specifically some of  
17 the outreach and what might we plan to extricate from  
18 the November 2006 activities, and any kind of squad  
19 programs or something we might be able to have  
20 geographically in some of the states that we know will  
21 do very well versus states that might not do as well,  
22 and then where might the middle line be. And after some



1 discussion, Mr. Chairman, I would like to introduce a  
2 motion regarding outreach and education, specifically  
3 with the disability community. And I'd just like to put  
4 that on kind of everyone's radar at the moment and allow  
5 the conversation to develop. Thank you, sir.

6 DR. SEMERJIAN: Thank you very much.

7 UNIDENTIFIED SPEAKER: And Mr. Chair, since Mr.  
8 Harding kind of started this, I had an issue here that I  
9 was thinking about during Dr. Skall's presentation but  
10 I'd like to perhaps get it on the table. They're  
11 looking at in the future working at test suites which  
12 will cover the three areas. My concern is that as the  
13 states throughout the country become more conscious of  
14 the importance of testing and begin efforts to do their  
15 own certification testing, testing is becoming  
16 unacceptably expensive for the vendors. And through  
17 trickledown it will become unacceptably expensive for  
18 the taxpayers. The expense really isn't a function of  
19 the thoroughness of the exams, but the simple fact that  
20 the number of jurisdictions is increasing the amount of  
21 testing that systems have to undergo almost  
22 logarithmically. And that is getting very expensive for

1 the nation.

2 I would like to see -- and it's something that  
3 there's been a fair amount of resistance in various  
4 circles to in the past -- I would like to see the  
5 federal test standards as they are developed reach more  
6 into states' specific requirements. I would like to see  
7 the functions that a system has designed into it  
8 exercised if they exist, and if there is no other  
9 standard for their performance, then the design  
10 standards for them will dictate. We need to create an  
11 environment where states can rely heavily on the federal  
12 testing that's done and start limiting state  
13 certification to just those states' specific issues that  
14 for some reason or another cannot be covered in the  
15 federal program.

16 UNIDENTIFIED SPEAKER: I'd like to support Paul's  
17 statement. I've done a significant amount of state-  
18 level testing and understand what he's saying. And one  
19 of the things that we really need to work on is this  
20 business of designing the subsequent tests for these  
21 requirements. We don't -- I don't think we have exact  
22 statistics on this, but back prior to this activity when

1 this was pretty much a massive volunteer effort, we had  
2 something like 35 or 40 states that had voluntarily  
3 signed up for this program. But we knew for a fact that  
4 a lot of those states did no state-level testing. They  
5 simply accepted the system as it came from the ITAs.

6 DR. SEMERJIAN: Do you have a particular resolution  
7 that you want to put forth, or this is just, you wanted  
8 to make this part of the record?

9 UNIDENTIFIED SPEAKER: I want to make this part of  
10 the record. And, I mean, as I understand it, you all  
11 are still trying to effectively do you needs assessment  
12 for the testing standards that Dr. Skall is going to be  
13 developing. So I wanted to put it on the record and  
14 make staff well aware that at least from my part as a  
15 member of this board, that's one of the things I'm going  
16 to look very closely at.

17 DR. SEMERJIAN: Okay. Mr. Berger?

18 MR. BERGER: Mr. Chairman, I'd like to add my  
19 support for this area of discussion. I think it was  
20 Meryl King (phonetic sp.) who made the comment once in  
21 my hearing that this is a field where we work for a week  
22 on an issue and worry for a month on what we just broke

1 unintentionally. And I think we're well advised to  
2 worry significantly about unintended consequences. The  
3 cost of testing is one that I have. What we're doing in  
4 the cost of implementation is another one, and equally  
5 then what we're allowing not to go undone. So as we  
6 make changes I very much am interested in knowing what  
7 the cost of the testing is that we're requiring, but  
8 also get some feedback on what the cost of  
9 implementation is so that we're being as intentional as  
10 possible about directing efforts system wide.

11 DR. SEMERJIAN: Dr. Schutzer?

12 DR. SCHUTZER: I'd like to support it also. We had  
13 a parallel in the banking industry. We all have to go  
14 through certification and audit testing of all our  
15 third-party vendors and their systems that we use. And  
16 the way we had been approaching it up until a year ago  
17 was exactly the way you're being saddled right now. I  
18 mean, we all had our unique needs and nuances in the  
19 banking community, but we got together with the big four  
20 accounting firms and we worked together to develop  
21 detailed testing criteria that could be done once. We  
22 actually tested it back with out banks, and of course,

1 you know, we did have some unique testing requirements  
2 yet to be done. But we have found that 60% to 70% of  
3 the testing that we were doing were now accomplished by  
4 that one single set of certification testing. So I'd  
5 like to recommend and maybe even go a step further. You  
6 might consider work item (indiscernible) to work with us  
7 to actually develop more of that philosophy to something  
8 concrete.

9 DR. WILLIAMS: And companion to that -- this is  
10 Britt Williams again -- is that when that system  
11 completes testing and is deployed in the field, you've  
12 got to be able to verify in the field that what you have  
13 is what was tested. And that's not a trivial task  
14 either.

15 DR. SEMERJIAN: Agreed.

16 UNIDENTIFIED SPEAKER: You know, just to pick up on  
17 something Tom had buzzed us on, very practically things  
18 like, are we discouraging poll workers and creating  
19 additional complexity, or are we confusing state  
20 officials in their roles. At least we need to look at  
21 those issues.

22 DR. SEMERJIAN: Would Mark or Tom like to comment

1 on this, or -- I mean, obviously it will be taken under  
2 advisement. But would you want to comment?

3 UNIDENTIFIED SPEAKER: I have one final plea. This  
4 isn't -- when you mentioned that June meeting, you said  
5 Thursday/Friday. I encourage people who are planning  
6 meetings in the Washington, D.C. area to avoid Fridays.  
7 It is really difficult to get out of Washington on  
8 Friday.

9 UNIDENTIFIED SPEAKER: Maybe we want to keep you in  
10 Washington. I'd just like to respond -- can you hear me  
11 now? I think these are all good points. I'd just like  
12 to remind everybody that what we're trying to do is  
13 develop test suites that test requirements in the VVSG.  
14 So the only way we can minimize problems with respect to  
15 the states is to make sure that various requirements are  
16 included generically in the VVSG that would impact the  
17 states precisely. We can't test above and beyond what's  
18 already in the standard. So I just want to make sure  
19 we're cognizant as we develop requirements that if there  
20 are things that are in there that we feel are necessary  
21 because of state interest for testing, they can be done  
22 at a state level. But what we're doing is just testing

1 to the VVSG. The first sort of mantra about testing is  
2 you can only test requirements in the standard you're  
3 testing. So we're limited by that (indiscernible).

4 UNIDENTIFIED SPEAKER: Right but, Mr. Chairman, if  
5 I may respond? Paul Craft.

6 DR. SEMERJIAN: Yes, go ahead.

7 MR. CRAFT: Mark, that is a philosophical  
8 difference that we who are trying to deal with state  
9 certification testing have been fighting with great  
10 frustration for about 15 years. And it simply has to  
11 change. We cannot say that we're going to pass a  
12 generic federal standard and pass it, turning a blind  
13 eye to the state requirements because we are not going  
14 to meet the needs of the people who are depending on the  
15 standards if we do that. The standards have got to be  
16 expanded, the scope has got to be expanded so that we  
17 come up with a standard that serves the public we're  
18 trying to serve.

19 DR. SEMERJIAN: Dr. Schutzer?

20 DR. SCHUTZER: A recommendation there is, I mean,  
21 we had the same issue.

22 **(END OF AUDIOTAPE 1, SIDE B)**

1                   \*                   \*                   \*                   \*                   \*

2   **(START OF AUDIOTAPE 2, SIDE A)**

3           DR. SCHUTZER: I know it wouldn't be exhaustive of  
4 all the states who could, you know, work with you to  
5 ensure that some of their unique needs are reflected in  
6 the testing, actually expand it to ensure that you could  
7 accommodate some of those requirements.

8           DR. SEMERJIAN: Mr. Berger?

9           MR. BERGER: Yes, I think the most helpful thought  
10 construct is that we're all involved in a conformity  
11 assessment system. At the end of the day we very much  
12 want to make sure that the system delivers to the end  
13 user. To the nation, the accuracy, reliability,  
14 accessibility, usability that we desire. We need the  
15 boundaries you've discussed, but we don't need to be  
16 doing each other's job. But those boundaries need to be  
17 designed very carefully with a lot of collaboration and  
18 sometimes some overlap so that the system functions  
19 properly. And I think that would be my view. It's  
20 clear to me at least and I think to several others, that  
21 we need to work that state/federal testing boundary to  
22 provide better efficiency and a better end product.



1 DR. SEMERJIAN: Thank you. Any other questions or  
2 comments? Ms. Quesenbery?

3 MS. QUESENBERRY: Sorry, this is probably a little  
4 less far reaching than that discussion, but I'm  
5 concerned about something that Mr. Skall said about how  
6 modules will be promulgated. And one of the suggestions  
7 was that they could be essentially published with the  
8 endorsement of one subcommittee. And I have to say I  
9 worry about this. We've already heard a lot and have  
10 heard a lot from various committee members about the  
11 burden of reading a lot of material. It's especially  
12 hard to read it when you've had no background in the  
13 material and no presentation on it. So if -- I guess I  
14 don't have a specific suggestion except to say that if  
15 we are in fact going to have specific subcommittees  
16 presenting material that in a sense is then going to be  
17 sort of blanket approved by the committee, that there  
18 has to be some form of cross-fertilization between the  
19 committees. I'd like to hear for example not just the  
20 NIST experts, but the TGDC members from one subcommittee  
21 presenting to the other. I know we've had some issues  
22 with the level of complexity of the material and whether

1 the material communicates clearly. And we're certainly  
2 a first round of canaries in the mineshaft to ensure  
3 that as it's presented it actually makes sense to  
4 someone who wasn't part of creating it.

5 DR. SEMERJIAN: My impression was that the  
6 subcommittees were not expecting a blanket approval by  
7 the TGDC. I think their idea was to put that out there  
8 to start the discussions, so to speak. Am I right?

9 MS. QUESENBERRY: I don't understand when we're  
10 going to have these discussions. I mean, we get a four-  
11 inch pile of paper. We have a day to go through stuff.  
12 We never really have any chance to discuss it in detail.  
13 It's sort of reviewed at an overview level, but we just  
14 heard Mr. Berger talk about the unintended consequences.  
15 I know that one of the things that the NIST staff and  
16 the Human Factors and Privacy Subcommittee have been  
17 concerned about is the interplay between accessibility,  
18 usability, and security, which have obvious trade-offs  
19 that have to be made. And it would be better if we had  
20 a way during the course of the development of these  
21 modules to cross-communicate some of what we're talking  
22 about, so it's not just presented as one giant

1 (indiscernible). Because if what we've done is publish  
2 something, I really don't see how we're ever going to go  
3 back and seriously revisit it when it's been published  
4 as a working module. And then in June we're going to  
5 vote on 10 or 15 of these.

6 DR. SEMERJIAN: Mark, would you like to comment?

7 MR. SKALL: Yes, well the intent was not to imply  
8 rubberstamping or blanket endorsement. The intent was  
9 to try to come up with a way that, when we work closely  
10 with a subcommittee and there's some sort of meeting of  
11 the minds, that we could at least get this on the  
12 website so vendors know this is the direction we're  
13 going in. Clearly there would have to be caveats that  
14 this hasn't been endorsed or voted upon, or to some  
15 degree even vetted by the entire TGDC. Now we would  
16 hope to put it on the website and get comments from the  
17 entire TGDC, but it doesn't seem to happen without a  
18 meeting where you can actually have face-to-face things.  
19 But the idea is why not allow the public and the vendors  
20 to see the direction we're going in. This happens with  
21 standards all the time. Drafts are made publicly  
22 available and if vendors choose to implement them, they

1 know there is a risk that they may change before they're  
2 agreed upon. But it seems to me it's just in line with  
3 sharing information and being as transparent as we can  
4 be to put these on there when we think there's a meeting  
5 of the minds. Now clearly it would be better if the  
6 meeting was a broader meeting of the minds, and the TGDC  
7 would at least maybe electronically send in comments  
8 that we could vet this. I mean, the other side of the  
9 picture is not make it available until the very end, and  
10 then there are issues with that as well. So, I mean, I  
11 understand your concern.

12 MS. QUESENBERRY: I'm not suggesting that it not be  
13 made available. I'm suggesting that the communication  
14 materials among the TGDC working groups need to be more  
15 transparent between the groups, and there needs to be a  
16 better communication on the technical issues from the  
17 NIST technical staff to the various members of the TGDC,  
18 not a single subcommittee.

19 MR. CRAFT: And I agree with that.

20 DR. SCHUTZER: Yes, and I'd like to --

21 DR. SEMERJIAN: Dr. Schutzer?

22 DR. SCHUTZER: I'd like to support that too, and

1 give it a comment and then a recommendation. I think  
2 even though we have three separate groups, they are  
3 really very interdependent. There was no doubt that  
4 sometimes if you bend over backward on accessibility you  
5 may be, you know, sacrifice the security. You may be  
6 sacrificing for security maintainability, which as we  
7 see in some of the recent press can really defeat a lot  
8 of the intent anyhow. They are not independent of one  
9 another. So I think what you're hearing here is the  
10 frustration that the results of these different modules  
11 -- I understand that they are not going to be published  
12 as modules (indiscernible) access to them. But some  
13 time, even if it's not a face-to-face meeting, ought to  
14 be made where that information could be available to the  
15 whole TGDC, and some time a conference call or  
16 (indiscernible) or whatever should be devoted to, you  
17 know, just input from the other sides of the -- just  
18 outside of our work to provide you our input and  
19 concerns or whatever. And I think the product would be  
20 better for it. It doesn't mean that it shouldn't also  
21 be out on the website and have vendor and public comment  
22 and so forth. It certainly should. So I'd recommend

1 something in that schedule be devoted for that kind of  
2 interaction.

3 DR. SEMERJIAN: Mr. Craft?

4 MR. CRAFT: Yes. I'd like to also go down I guess  
5 another aspect of this while we're on the subject.  
6 There is a dearth of vendor input in the process that we  
7 went through the last time around. More recently as the  
8 subcommittees have started trying to deal with in our  
9 committee setting a standard for how marginal marks are  
10 going to be handled, it was very, very difficult to get  
11 vendor input into this process. I mean, it's my  
12 understanding that with all the other industries that  
13 NIST works with in setting standards, the industry that  
14 makes the devices are a very key part of the standard-  
15 setting process and building standards. I really feel  
16 that it has been way too difficult for us to get the  
17 vendors involved. None of the subcommittee meetings to  
18 my knowledge have had a vendor participating in them.  
19 There are brilliant minds in the vendors. There are  
20 people who have been working on some of the problems  
21 that we're discussing here for years. Some of them have  
22 done very creative work. There is of course an issue as

1 to how much of that they're willing to show, because  
2 some of it's trade secret information. But I really  
3 feel that they need to be brought a little further into  
4 the circle as we go into our next iteration of how we're  
5 going to regulate their industry.

6 DR. SEMERJIAN: Mr. Berger?

7 MR. BERGER: Well, I'd like to just add a single  
8 thought. I very much support the comments that Mark and  
9 Whitney have made about openness and making the work  
10 very visible to all stakeholders. Maybe just  
11 consciously having a point in the process where we're  
12 not saying this is the direction we're going, but this  
13 is a direction we're discussing being more inviting of  
14 input. And I think, Paul, this is your point. We very  
15 much need to know the vendor input and other stakeholder  
16 groups' input before we start getting locked in on a  
17 direction.

18 DR. SEMERJIAN: We have to break at 10:45 for  
19 technical reasons, so this is the last question. Mr.  
20 Williams?

21 DR. WILLIAMS: All right, well I'll be brief. The  
22 makeup of this committee has concerned me from the get-

1 go. I've been involved with all four standards  
2 developments in this arena, the 1990 FEC, the 2002 FEC,  
3 the IEEE, and now this. And this is the first one that  
4 didn't have a balanced mix of members of the election  
5 community and vendors. We've had vendors actively  
6 participate in all of the other three as members of the  
7 committee, not just incidental people that we  
8 occasionally ask a question. And the balance of  
9 election experience on this committee I feel is way out  
10 of kilter. Alison -- Sharon Turner Buie, I believe I'm  
11 correct, are the only actual election officials -- oh,  
12 yes, well okay. Well then we've got three actual  
13 election officials out of 14. And so I don't know. The  
14 makeup of this committee is specified by law, so there's  
15 not much we can do about that. But there's nothing  
16 wrong with us forming working subgroups and actively  
17 soliciting their input, not on a what-do-you-think-of-  
18 this-basis, but on a more generic, look at this and help  
19 us refine it. And there's nothing that says that we  
20 can't do that within the charter we've got.

21 DR. SEMERJIAN: Okay. We have to take a break.  
22 But I think this is a topic that perhaps can be



1 discussed during the break. And if anybody wants to  
2 make a specific recommendation or resolution, we'll take  
3 that up. So we will take a break now. That means that  
4 John Wack's presentation will be after the break. And  
5 we'll come back at 11 o'clock to start the next session.  
6 Thank you.

7 (15 minute break.)

8 DR. SEMERJIAN: Can we all take our seats, please?  
9 That includes the TGDC members.

10 (Pause.)

11 DR. SEMERJIAN: TGDC members, if you could take  
12 your seat we'd like to start, please.

13 UNIDENTIFIED SPEAKER: This might be a good time to  
14 get some things passed, don't you think?

15 DR. SEMERJIAN: Yes, this might be an opportunity  
16 for resolutions.

17 (Pause.)

18 DR. SEMERJIAN: Okay, I think we'll get going.  
19 There is a little change of plan, you know, to respond  
20 to the comments made before. But before we get into a  
21 discussion of possible resolutions or the need for a  
22 fresh look for where we are versus, you know, where

1 we're going, or where the needs are versus what the  
2 plans are and appropriate resource allocation, etc., I  
3 think some of these questions may be addressed. So at  
4 least the discussion should be held in light of what  
5 John Wack will present. So I think we'll go ahead and  
6 ask John Wack of our Information Technology Laboratory  
7 to report on the developmental status and supplemental  
8 guidance for the VVSG 2007, and then open up the  
9 discussion, open up the floor for the discussion after  
10 that. So unless there are any objections, I propose we  
11 proceed as such. Is that -- hearing no objections,  
12 John, will you go ahead, please/

13 MR. WACK: Thank you very much. It is a pleasure  
14 and an honor to be here up addressing you again. And,  
15 Whitney, you mentioned something about feeling like a  
16 canary in a mineshaft. And after the discussion about  
17 resolutions, I have to say I feel the same way a little  
18 bit.

19 What I'm going to do is change my presentation  
20 slightly. And I think for the purposes of the  
21 discussion you want to have, maybe it would be best if I  
22 focused more on essentially where are we in the

1 development of the standards, and review some of the  
2 structure of the document, and the reason it looks the  
3 way it does, and things of that sort. And then I think  
4 that might help you out. So what I'll do is give you an  
5 overview of the volumes, a little bit of the history.  
6 I'll review some material that we went over last  
7 September, and go on to some next steps.

8       Okay, last September I have you a presentation and  
9 we talked about essentially VVSG 2007, and I'll just go  
10 through some of that material again. We looked at  
11 basically ISO and decided it was best if we broke apart  
12 the standard. And we actually separated distinct parts  
13 of the standards into separate volumes. So if you look  
14 up there -- and the introduction basically is a stand-  
15 alone introduction to the overall standards, and it will  
16 contain overviews of a variety of different things that  
17 essentially will be very usable to the general public as  
18 well as, you know, all members of the election official  
19 community. Terminology standard, you've seen already  
20 parts of that, and that is the glossary. The product  
21 standard really has requirements for voting systems in  
22 there. Standard on data to be provided has requirements

1 for test labs and vendors in terms of documentation.  
2 And then a separate testing standard that, with the  
3 inclusion of some additional funding, will be filled out  
4 with actual test suites. And those tests will actually  
5 be referenced by requirements in the product standard.

6 Now what I'm going to do here very quickly is just  
7 show you some of the topics that we are covering. This  
8 is not an actual outline with sections of the document,  
9 but what I've done is I've taken the outline that we  
10 presented to you last September and I've done a little  
11 bit of color coding of it to show you topics that we  
12 have addressed to some measure. And those items in red  
13 actually, which I'll read out, for example auditing  
14 assumptions, that's basically material that we will  
15 present at some point today. So you can see looking at  
16 the introduction, some of the material we're going to  
17 include in that. And the introduction actually will be  
18 pretty much our next focus.

19 Some of the discussion prior to my appearance here  
20 on stage has been basically about making the material  
21 usable for the TGDC as well as other communities. And  
22 that's become apparent to us as well, that a bigger part

1 of our job as we've developed more material actually is  
2 to put it all together. And I think the next job we  
3 have to do is essentially show you on some newer pages  
4 how the document all hangs together, what it's starting  
5 to look like, so that -- well essentially what I'd like  
6 is for a member of, let's just say the HFP subcommittee,  
7 to be able to at a glance take a look at the document as  
8 a whole and look at other sections, look at the core  
9 requirements areas or look at the security areas, and be  
10 able to see how it ties in and how HFP is being  
11 promulgated in those areas as well. And the same would  
12 hold true for the other subcommittees as well.

13       Okay. Product standard, today we'll also have  
14 material on the Conformance Clause, general requirements  
15 on crypto access control, Dr. Laskowski is going to  
16 present some material on usability, hardware/software  
17 performance, workmanship requirements. One thing I want  
18 to point out is that the product standard is divided  
19 into two general areas, and those are general  
20 requirements and then, on the next page, requirements by  
21 voting activity. And part of the reason for doing that  
22 is to minimize duplication of requirements. Basically

1 requirements by voting activity will likely reference  
2 requirements in the more general section. So we  
3 basically make the document a little easier to follow  
4 through, and we don't have to keep repeating  
5 requirements. We can just reference them. I'll just  
6 point out we've got casting and counting and some VVPAT  
7 material that we'll present today as well.

8         Standard on data to be provided, we've touched on  
9 that as well and I don't really need to go into too much  
10 detail with that today because we really aren't  
11 presenting material there. Certification test plan,  
12 data to be provided to software reference libraries,  
13 still areas that we have to address.

14         And then the testing standard, and the testing  
15 standard at this point, we've got some material  
16 developed for it. It's high-level material and I want  
17 to point out that one perspective you might take with  
18 the VVSG 2007 is that there really isn't a whole lot of  
19 new stuff in there. Basically it's taking the VSS,  
20 taking what we did for VVSG 2005 and other material and  
21 digging down deeper, being much more accurate and  
22 specific in the presentation. But I think one of the

1 most important things we're doing with this standard is  
2 basically making things clear. We will do our best to  
3 address the most important topics in voting and get it  
4 done by July of 2007. But it's very important that we  
5 provide a document that's maintainable, that can be  
6 updated, and that will be very usable to our primary  
7 audiences, and we consider those to be vendors and  
8 testers. And at the same time it has to be very usable  
9 to -- well, I'll start with the TGDC and the election  
10 community and the general public researchers, and so on  
11 and so forth.

12       The testing standard is important. Basically it's  
13 going to hopefully contain tests, and each requirement  
14 will point to a test if things work out. And we think  
15 that that's an extremely important aspect of the  
16 standard, that one of the things I've heard from vendors  
17 is they would love to know how requirements are actually  
18 going to be tested. And I think that's essential as  
19 well for the voting system test labs, so the test labs  
20 have common guidance and common requirements and common  
21 language on developing tests. Right now we have  
22 overview material and we can point to that with our

1 requirements. Given the funding and the further  
2 development work, we would like to actually have the  
3 specific tests in there.

4       Okay, very briefly, who's going to use the VVSG?  
5 Well I've already talked about vendors and I've already  
6 talked about test labs, but we know that states are  
7 going to be using it, election officials, people doing  
8 RFPs buying voting systems, researchers will be using  
9 it, the general public. And we've already talked about  
10 basically making this standard usable, very usable not  
11 only to the vendors and testers, but to other audiences  
12 as well. It has become apparent to us that along the  
13 way we have been in situations where we think it's  
14 important to develop some additional supplemental  
15 guidance on some of the requirements. And I'm not  
16 really talking about best practices so much as  
17 information that provides a context for some of the  
18 requirements.

19       And so we plan on adding this material. In fact,  
20 we've already started. But it is not material that's  
21 testable. It's not material that anybody would have to  
22 follow. They aren't actual election official



1 procedures. We will include this material as part of  
2 subsections containing requirements. I'll give you a  
3 couple examples of some of that material. For example,  
4 VVPAT and paper spools, and you know that if you use a  
5 paper spool there is a problem in that votes are  
6 recorded sequentially on there, and therefore it becomes  
7 easier to basically determine the order in which voters  
8 used a particular machine. Some context, some  
9 supplemental guidance where there might be a  
10 recommendation to maintain a certain level of security,  
11 there may be additional procedures along the way. It's  
12 basically a notification that a state in using a  
13 particular VVPAT system may need to examine its own  
14 procedures as well. Some of this material by the way, I  
15 should mention may find its way into best practices,  
16 some may be just too specific to certain requirements  
17 and may stay in the VVSG.

18 A couple of other examples, essentially things such  
19 as notation, using small fonts on a paper spool may,  
20 there may be some supplemental guidance there for  
21 brighter lights than the standard actually says to use,  
22 or separate of certain types of voting systems with

1 audio input that could be more easily overheard.  
2 Distribution of passwords or security information, if  
3 passwords, cryptographic keys, certificates, whatever  
4 are used on voting systems and they have to be  
5 distributed manually, there may be some supplemental  
6 guidance there.

7 I talked a little bit about the format.  
8 Essentially we could do it a couple of different ways.  
9 We may list it somewhat in the requirements format so  
10 that we can actually reference where we're actually  
11 getting this information, the supplemental guidance. We  
12 also may just have informative text in each section.

13 Okay, well what I've tried to do in a relatively  
14 short amount of time, and I guess I apologize that I  
15 actually don't have hours to do this, because really to  
16 digest all the material that we have it would take about  
17 that length of time to present it to you. I just want  
18 to wrap it up and say that we will be working more on  
19 introductory material down the road, and we recognize a  
20 real need to not only develop the requirements and do  
21 the research, but also to make it usable to the TGDC as  
22 a whole. I think it will get more difficult for the

1 TGDC though. I think that, you know, as a result of  
2 delving deeper into the standards, we have more material  
3 and it's going to be more difficult for you. So the  
4 more we can talk about working together more closely and  
5 getting this reviewed better, you know, we welcome that.

6 Do you have any quick questions before we go on?

7 MR. SCHUTZER: Yes, just a quick comment just to  
8 illustrate (indiscernible).

9 DR. SEMERJIAN: Could I remind all the members to  
10 identify themselves, please?

11 MR. SCHUTZER: Dan Schutzer. If you jump back to  
12 page 13 for example, I think that we do need greater  
13 interaction because some of the things we've been  
14 learning or some of the discussions of the core  
15 requirements of other areas, or even in a case like this  
16 where people have talked about this capability primarily  
17 from a privacy and security point of view, there are  
18 other things about that that really ought to be put in,  
19 like for example guidelines for how to set up and test  
20 it to ensure that the accuracy is up to par, guidelines  
21 in terms of procedures and handling of this in terms of  
22 contingencies, how to prevent things from, paper from

1 being jammed and how to handle it and so forth. So I  
2 really think we do need in some case some thorough  
3 review of these things, because we are sometimes  
4 identifying a particular feature or function of product  
5 from one point of view, from one of the aspects that we  
6 really could make it better if we were to include that.  
7 And of course I will go along with the fact that vendor  
8 input in areas like this would be extremely useful.

9 DR. SEMERJIAN: Mr. Craft?

10 MR. CRAFT: Yes, John, one thing that I would like  
11 to see, and I don't know how we get there -- I will take  
12 one of the requirements that we've been kicking around  
13 for the last two years on security is the ability of a  
14 system to be, have its firmware validated after the  
15 firmware has been loaded. Now that's an issue we've  
16 been kicking around for two years, or we've been telling  
17 the vendors that they need to figure out do to it, it's  
18 going to be in the standard one day. That's an issue  
19 that really I think should be pared off from a draft  
20 standard into a research project. And that's an area  
21 that I think NIST has probably some of the best  
22 resources in the world to work at. What are the various

1 types of firmwares that these vendors are working with,  
2 what are the real technical issues in being able to  
3 validate installed firmware, and being able to do it in  
4 such a manner that you don't compromise security. And  
5 then if NIST could bring this board back, that analysis  
6 showing us, you know, what specifically has to be done  
7 in each of the systems there are currently fielded and  
8 the impact, then I think this board could start making  
9 informed decisions on those kinds of issues. But we  
10 can't go down the road of throwing out a requirement  
11 like that, even though it's something those of us who  
12 have dealt with the issue would love to see. And how do  
13 we get there?

14 MR. WACK: Well if I could respond quickly, that's  
15 a good question, how do we get there. We recently  
16 started a series of telecons with vendors basically  
17 through ITAA. We had one approximately three weeks ago,  
18 and we're going to try to do them every month. And we  
19 had the major vendors there, and we initially started  
20 off by identifying major issues for the vendors that  
21 they wanted to talk about. That was one of them. So  
22 one suggestion was essentially to start dedicating, you

1 know, basically half a day on specific subjects, that  
2 being one of them. We've talked a little bit about  
3 opportunities where we can have face-to-face meetings  
4 with the vendor community at large. And maybe we can do  
5 that, for example, during major voting, meetings such as  
6 the standards board or (indiscernible) or something like  
7 that.

8         That's one way we can start building more research  
9 into that area. It is difficult to actually, you know,  
10 get the other work done at the same time, but I think  
11 that's part of our charter here. But at least a start  
12 though is focusing on those issues with the vendors and  
13 with our research folks at the same time.

14         MR. CRAFT: Okay, I'm glad to hear that that kind  
15 of research is going on and I guess I'll follow that up  
16 with, is there a way that the NIST staff can start  
17 involving those other, some TGDC in some of those  
18 efforts? Because I would certainly love to sit in on a  
19 phone call in some of those sessions and perhaps advance  
20 while we're doing it.

21         MR. WACK: I actually think that would be great.  
22 We can do that.

1 DR. SEMERJIAN: Mr. Berger?

2 MR. BERGER: John, thank you for your presentation.  
3 And I think you were right in predicting you would  
4 address a number of concerns. I have a couple of  
5 questions. One maybe is a bit more of a comment. But  
6 on page 5 of your slides you talk about interoperability  
7 (indiscernible) in standards. There is a concern and  
8 I'm wondering if you all are working on it under this  
9 item or somewhere else. We qualify COTS on a number of  
10 points and systems. I'm not sure we've carefully  
11 specified what the limits of replacing cots without  
12 additional qualification are. As an example, many of  
13 the systems use PCs. The ITAs test them with a specific  
14 PC. I'm not sure where we give the range of other  
15 models or other vendors' PCs that we would be  
16 comfortable or replaceable without independent  
17 evaluation. Is that under work anywhere?

18 MR.WACK: Dave Flater, could I point to you? Dave  
19 might to be able to address that a little bit better  
20 since he's really dealing more with the COTS issue.

21 DR. FLATER: There's a pragmatic approach to this,  
22 and then there's the hard line tester's approach to

1 this. I don't know what the pragmatic approach of the  
2 EAC with respect to how flexible the certifications are  
3 is. I can tell you from the hard-line tester's  
4 perspective you certify a particular system. It is a  
5 complete system, and any modification you make to that  
6 system could potentially break it. For example,  
7 substituting one COTS PC for another PC should not break  
8 it but it can, because if there are race conditions in  
9 the system putting in a faster or slower PC could  
10 trigger those problems. That's just one example. So I  
11 acknowledge that there needs to be some pragmatism and  
12 some flexibility, otherwise we can't possibly send every  
13 system back for a complete re-certification regression  
14 testing every single time something is changed. But  
15 speaking as one with a lot of testing experience, I can  
16 tell you that's a very tricky issue to address.

17 MR. BERGER: David, I share your concern and I  
18 think it would be accurate to say that's an area where  
19 there's a great deal of confusion more generally. Let  
20 me bring up a different item. John, you talked about  
21 looking at the VVSG in terms of usability to vendors and  
22 testers as the primary audience. And maybe this is more



1 of a comment, but I'll make it a question. Have we  
2 looked through the VVSG to its work product, the ITA  
3 report as to its usability by its intended audience,  
4 that is state and local officials, as to how well this  
5 supports their efforts to then state certify equipment  
6 to get to the information they need to perform their  
7 functions in running elections?

8 MR. WACK: Well the answer is yes, we have  
9 discussed that. And in the data to be provided section  
10 in the certification test plan, first of all looking at  
11 the slide it's not complete, it doesn't have everything.  
12 But certainly yes, that is basically an area that we've  
13 discussed. I think again I'm going to -- well, I don't  
14 know, Dave, if you want to address that at all, but we  
15 recognize that yes, that report has to be essentially  
16 made available and usable and understandable.

17 DR. SEMERJIAN: Mr. Craft? No? Mr. Gannon?

18 MR. GANNON: This is Patrick Gannon. John, as a  
19 follow-up to Steven's question that related to the  
20 interoperability under general requirements, I would  
21 draw attention to page 10 where you're talking about the  
22 test suite overviews. I don't see any indication there

1 of interoperability testing, and I would think if the  
2 need for interoperability across different components  
3 that could be made by different vendors is one of the  
4 major requirements, then there should be testing that  
5 would specifically address the way to provide  
6 interoperability and to verify that, and specifically  
7 focusing on the kinds of data interchange formats that  
8 might be required from exchanging data between different  
9 dissimilar or different vendor-type systems that is not  
10 sufficient to just test all the components by a single  
11 vendor, but where appropriate to provide  
12 interoperability testing across different vendor pieces  
13 as part of a larger system. So this is something that  
14 could be added to page 9 and 10 to indicate the need for  
15 test scripts around interoperability testing.

16 UNIDENTIFIED SPEAKER: Okay, thank you. I've noted  
17 it.

18 DR. SEMERJIAN: Mr. Harding?

19 DR. HARDING: Thank you, Mr. Chairman. I'd like to  
20 feed off of Mr. Gannon's interoperability observations  
21 as it then relates to the system or whatever system  
22 we're testing or certifying, and then the role that that

1 equipment plays in that and how that might change some  
2 of these pieces of the equation. And that's somewhere  
3 that I don't know that we have any information on. But  
4 it will become more important as we get closer to the  
5 '08 elections, that the expectation of the community  
6 with adaptive needs will continue to grow. So I'd like  
7 to add that.

8 DR. SEMERJIAN: Thank you. Not seeing any other  
9 comments, John, thank you. And now we'll go back to a  
10 couple of the items that were brought up early in the  
11 morning. One was a resolution perhaps regarding the  
12 correspondence shall I say between the resolutions  
13 passed by this committee and the progress made or work  
14 planned that are related to those, however you would  
15 like to phrase it.

16 MR. CRAFT: Okay. We did a bit of writing by  
17 committee, so the -- okay.

18 DR. HARDING: Before -- Paul, before we begin with  
19 the Chairman's okay, I'd just like to kind of give the  
20 group and the audience a little context or why we're  
21 doing this and why we believe it's important, at least  
22 from my perspective. In Portland I was asked to

1 represent this group in front of the advisory committee  
2 and kind of give them an overview of well, who were we,  
3 how were our different lenses contributing to this  
4 process, did we fight amongst ourselves, and those kinds  
5 of things. But specifically they wanted to know, well  
6 where were we coming from. And I used our resolutions  
7 as a bill of rights analogy, and that this was the  
8 heart, this was the expectation. And while many of them  
9 were philosophical, they in fact created specific work  
10 products, and that if they wanted to follow the work of  
11 this group and see if in fact that the standards board  
12 and the advisory boards and then ultimately the EAC were  
13 getting what we thought they should get, they should use  
14 the resolutions as kind of your checks and your  
15 balances. And that's why I raised it in September and  
16 again why I raised it today. And so, Paul, I'd like to  
17 ask you if you could, Mr. Chairman, to let the motion be  
18 read.

19 DR. SEMERJIAN: Thank you.

20 MR. CRAFT: This is difficult from this angle.

21 NIST shall prepare an analysis and regularly report on -

22 - okay, that didn't work -- and regularly prepare a

1 report. Okay, prepare a report -- take out on -- that  
2 tracks resolutions passed by the TTDC and the progress  
3 of standards development to the specific -- okay, that  
4 didn't work at all -- and the progress of standards  
5 development and to the specific work products of NIST.  
6 After the initial publication, reports will be provided  
7 to the TGDC with the meeting materials prior to each  
8 meeting, and will be included as an appendix to all NIST  
9 and TGDC work products sent to the Election Assistance  
10 Commission.

11 UNIDENTIFIED SPEAKER: I think if you could just  
12 say reports will be provided to the TGDC prior to each  
13 meeting just to make it a little more readable.

14 UNIDENTIFIED SPEAKER: Okay. What kind of  
15 timeframe, Britt?

16 **(END OF AUDIOTAPE 2, SIDE A)**

17 \* \* \* \* \*

18 **(START OF AUDIOTAPE 2, SIDE B)**

19 UNIDENTIFIED SPEAKER: -- well what you think will  
20 be reasonable, particularly with the fast pace that NIST  
21 is going to be working on and getting these materials  
22 together. Are we -- okay.

1 UNIDENTIFIED SPEAKER: No, we already -- it's when  
2 the rest of it's --

3 UNIDENTIFIED SPEAKER: Yes, it's when the rest of  
4 the material is due, which is a week. Okay.

5 DR. SEMERJIAN: Okay, first of all is that clear to  
6 everybody? Do we need to read it again, or are we --  
7 okay.

8 UNIDENTIFIED SPEAKER: Could you read it into the  
9 record?

10 DR. SEMERJIAN: Okay, could you read it again, Mr.  
11 Craft?

12 MR. CRAFT: Yes. NIST shall prepare an analysis  
13 and regularly prepare a report that tracks resolutions  
14 passed by the TGDC and the progress of standards  
15 development and to -- okay -- and the specific work  
16 products. So we need to take that to out -- to the  
17 specific work products of NIST. After the initial  
18 publication, reports will be provided to the TGDC prior  
19 to each meeting, and will be included as an appendix to  
20 all NIST and TGDC work products sent to the Elections  
21 Assistance Commission.

22 DR. SEMERJIAN: Do we have a second?

1 DR. HARDING: Second.

2 DR. SEMERJIAN: Any discussion, comments? Yes, Mr.  
3 Harding?

4 DR. HARDING: Thank you, Mr. Chairman. I'm J. R.  
5 Harding. I believe this would also compliment the  
6 supplementary kind of guidelines, or that extra work  
7 thing that John was alluding to. And I don't know,  
8 maybe it is really the upper half of this equation, but  
9 I think it speaks to where are we going, what are we  
10 trying to do, and where did that work originate from.

11 DR. SEMERJIAN: Any other comments? Mr. Karmol?

12 MR. KARMOL: Yes, Mr. Chairman, Dave Karmol. A  
13 question I guess to the NIST staff. Does NIST staff  
14 understand what is meant by this resolution? Because  
15 obviously they're going to have to prepare it. And the  
16 second part of the question is, is this something that  
17 can be done in sort of a matrix-type fashion of a couple  
18 of pages? Because I think the last thing we need is  
19 another document that's 20 or 30 pages long. So I guess  
20 that's my only concern here. Well no, I understand,  
21 that's the problem. I don't think we need another  
22 document that's 40, 50 pages long. Is this something --

1 does the sponsor of the resolution intend that this be a  
2 brief, like one-, two-page matrix?

3 MR. CRAFT: I would like to see it be as brief and  
4 understandable as possible, but very frankly there are a  
5 number of us on this board, or at least I speak for  
6 myself and J. R. said his part. There are those of us  
7 on this board who really do not have a clear concept of  
8 how our work product from prior meetings has flowed into  
9 the standards. And I just, I think that document needs  
10 to be created. If there are resolutions that are not  
11 flowing into the standards for some reason, we need to  
12 know about that and the report needs to show that. I'm  
13 sure there were things that possibly after receiving  
14 public comment the EAC, you know, took out at the final  
15 moment for the document that was published. But how do  
16 we get it? There is no traceability right now that I  
17 know of from our resolutions to the published standards.  
18 And it's very difficult from my perspective to  
19 conceptualize where NIST is in executing some of the  
20 prior resolutions we passed.

21 DR. SEMERJIAN: Well we certainly understand the  
22 traceability concept, so I'm with you on that. But in



1 that spirit, may I suggest that the word analysis to me  
2 means voluminous things. So may I suggest an amendment  
3 perhaps that says NIST shall prepare a brief report and  
4 -- brief -- yes, I would take out the word analysis,  
5 because analysis to me says a lot of studies and, you  
6 know, this and that. And --

7 UNIDENTIFIED SPEAKER: And you can cut from there  
8 to that --

9 DR. SEMERJIAN: And regularly --

10 UNIDENTIFIED SPEAKER: -- brief report that tracks  
11 resolutions.

12 DR. SEMERJIAN: Yes.

13 UNIDENTIFIED SPEAKER: Mr. Chairman, if I may --

14 DR. SEMERJIAN: Sure.

15 UNIDENTIFIED SPEAKER: -- I'd just like to speak  
16 up. Sharon Laskowski and her staff did just this for  
17 the Human Factors and Privacy Committee, went through  
18 where -- the final version that we voted on, what the  
19 changes were that had been made between there and  
20 January 12th, and have been continuing to update us on  
21 work that they're doing and in continuing to review  
22 comments with the EAC. So perhaps there's some examples

1 there even within NIST (indiscernible).

2 DR. SEMERJIAN: Yes, I thought that we actually had  
3 presented some things along those lines. It may not  
4 have been comprehensive, but how about the --

5 UNIDENTIFIED SPEAKER: On the other hand, back to  
6 my comment about cross-fertilization between the  
7 subcommittees, we of course were intensely interested in  
8 what happened in the sections that we've been deeply  
9 involved in. But perhaps others were equally interested  
10 in that.

11 DR. SEMERJIAN: Okay, with the modification, is  
12 this acceptable to the original authors of the  
13 resolution?

14 UNIDENTIFIED SPEAKER: Mr. Chair, if I may, first  
15 of all I guess I didn't hear -- were you responding on  
16 behalf of the staff in terms of what was understood? I  
17 guess you were.

18 DR. SEMERJIAN: Well when I saw the word analysis,  
19 that made me worry because, you know, it sounded like  
20 for each resolution we were going to write three pages  
21 on what I did, etc. I think the idea of a matrix that  
22 says these are the resolutions and this is the work

1 product, you know, maybe by page or by heading in the  
2 standard that says, this is what that material addresses  
3 with regard to (indiscernible) resolution.

4 UNIDENTIFIED SPEAKER: Just maybe as a friendly  
5 amendment here, because I notice there's some 40  
6 resolutions and many of these are structural  
7 resolutions, in other words, how we're going to  
8 structure the work. I don't think we need a report that  
9 says, you know, we have three subcommittees and each --  
10 we don't need a report on all of these. I guess I would  
11 suggest maybe adding the word the relevant resolutions.

12 UNIDENTIFIED SPEAKER: Well I think that some of  
13 these are --

14 UNIDENTIFIED SPEAKER: But --

15 UNIDENTIFIED SPEAKER: I think since it just hasn't  
16 been done up until now it would be good to start with a  
17 document that shows which of the prior resolutions have  
18 now been clear, implemented. And then we can go forward  
19 with regular reports.

20 DR. SEMERJIAN: Yes, some of them may not have any  
21 follow up because it may have been in the nature of the  
22 resolution that it was more of a discussion. So are we

1 comfortable with this? Any more discussions or any  
2 changes?

3 (No audible response.)

4 DR. SEMERJIAN: Hearing none, those all in favor of  
5 this resolution?

6 UNIDENTIFIED SPEAKERS: Aye.

7 DR. SEMERJIAN: Any opposed?

8 (No audible response.)

9 DR. SEMERJIAN: Let me see here. Ms. Turner Buie,  
10 are you on the phone?

11 MS. TURNER BUIE: Yes, I am.

12 DR. SEMERJIAN: Oh, thank you. I understand you've  
13 been following the discussion but we could not hear you.

14 MS. TURNER BUIE: Yes, I was --

15 DR. SEMERJIAN: Did you capture this resolution?

16 MS. TURNER BUIE: I did, and --

17 DR. SEMERJIAN: Are you in favor?

18 MS. TURNER BUIE: Yes, I am.

19 DR. SEMERJIAN: Thank you. Resolution has passed  
20 unanimously. Thank you. Okay, the next item we're  
21 going to take was the discussion we sort of started in  
22 the earlier session. And I believe Mr. Berger will lead

1 this discussion.

2 MR. BERGER: Thank you, Dr. Semerjian. As I said  
3 earlier, and I think much of the discussion that has  
4 taken place so far this morning is in this direction, I  
5 think it probably serves us well to take a look at our  
6 work. And I might frame it as, are we being as focused  
7 and responsive to the concerns we've heard expressed by  
8 Commissioner Davidson and Tom Wilkey as well as from the  
9 NIST staff as to where we best apply resources today.  
10 I'm not sure that I have any answers, in fact I'm sure I  
11 don't have final answers in this area. But I do have a  
12 number of areas where I'm concerned, and I would just  
13 launch with this observation. In my career, the things  
14 that have caused the greatest problems are those areas  
15 that I wasn't working on. And so my question is, as we  
16 work very diligently we all recognize that there's much  
17 work left to be done in all the areas we're engaged in.  
18 Are we looking at the things that we maybe collectively  
19 are overlooking that may really come back to hurt the  
20 election system. As examples, some of these have been  
21 mentioned this morning. Is it very clear in the ITA  
22 Report so that those who get these systems -- exactly

1 what system the ITA tested, software and hardware, with  
2 enough specificity and detail so that subsequently  
3 others can say, I am working with exactly the same  
4 system that the ITA qualified in a state-certification  
5 process, in a local acceptance testing, other places.  
6 That would be an example.

7 As we look to improving the national qualification  
8 testing it's been mentioned, have we really given  
9 guidance on what acceptance testing should be performed,  
10 what pre-election testing should be performed to assure  
11 that the end product of the election is as solid,  
12 accurate, and reliable as possible. I'm really asking  
13 for a resource and focus discussion. And I'm not going  
14 to try and give answers, but maybe just stop and see  
15 what others might care to contribute.

16 DR. SEMERJIAN: Any other comments? Dr. Rivest?

17 DR. RIVEST: Yes. Steve has raised a good point in  
18 the questions of what we're not looking at. Whether  
19 they may cause us problems is a great one. Certainly  
20 things like vote by mail are increasing in their use,  
21 and essentially we've done as much as we need to there  
22 to address vote by mail systems. Another issue that was

1 raised by two of my colleagues, Ted Siliker (phonetic  
2 sp.) and Mike Alvarez (phonetic sp.) has to do with  
3 state-wide voter registration systems which are now  
4 mandated, and whether we're doing enough on that front  
5 to set standards there. And I got a letter from them  
6 which I'll pass to the committee separate by e-mail, but  
7 I think that's an area where again we're not looking at  
8 that area with much intensity at all. And it's easy to  
9 predict that we may see lots of problems in that area  
10 that some effort here might help alleviate.

11 UNIDENTIFIED SPEAKER: It's outside our scope,  
12 isn't it?

13 UNIDENTIFIED SPEAKER: Actually there was a  
14 resolution that as time permitted there were various  
15 other aspects that we should be looking at besides just  
16 what was encompassed in the scope of the specs. And I  
17 believe registration was one of them. So it would be  
18 totally within keeping. If you track those resolutions  
19 you'll find we do have an analysis paper that's due us  
20 in that area, among some other things.

21 DR. WILLIAMS: This is Britt Williams. Voter  
22 registration per se is outside of our scope, but clearly

1 within our scope is how the voter registration system  
2 interfaces into the voting system.

3 DR. SEMERJIAN: Any other comments? Mr. Harding,  
4 did you --

5 DR. HARDING: I'll wait for the gentlemen to stop  
6 their technical issues and I'll get back to the  
7 heartbeat of the voter.

8 DR. SEMERJIAN: Ms. Quesenbery?

9 MS. QUESENBERRY: Just a quick follow up on  
10 something Mr. Berger said, which was talking about the  
11 question of what is in the ITA Reports. I of course  
12 have never seen one, but as I understand them now they  
13 basically say yes or no. And without regard to whether  
14 these are publicly available or available only to  
15 appropriately-designated people, I can see that as we  
16 move into usability and accessibility standards there's  
17 a number of them where having enough information about  
18 how those tests were conducted would help any expert.  
19 For instance, hired by the state to review a  
20 certification would be very useful. And I know we've  
21 sort of put off a lot of things about testing until  
22 later, and maybe later is coming.



1           MR. SCHUTZER: Dan Schutzer. I'd like to say that  
2 it was expressed earlier this morning the concern about  
3 trying to include more of the states' requirements. And  
4 I would say when we attempted that same thing in  
5 banking, we absolutely could not live with yes/no  
6 results because it wasn't clear that each bank would  
7 interpret the results the same way. And I believe it's  
8 the same for the states. You do need the details of the  
9 testing information. You're actually going to try to  
10 minimize the work of each state by allowing them to rely  
11 a bulk upon the national testing.

12           DR. SEMERJIAN: Mr. Berger?

13           MR. BERGER: Yes, Steve Burger. I think you raise  
14 actually a different point than what I was talking to,  
15 but an extremely important one. I really think we need  
16 the expertise of the usability experts on the ITA  
17 Reports and ask the fundamental question, what are these  
18 reports trying to do. Clearly one is so that other  
19 experts can look at the tests and develop an independent  
20 judgment on whether that test adequately performed the  
21 service it was intended for. Other purposes of the  
22 report are for state officials to look at the test and

1 understand with enough detail, so that if they have  
2 additional concerns they can then add to the, do their  
3 own testing so they clearly understand what was and,  
4 just as importantly, what was not done. And I think the  
5 issue of availability of the reports is a separate one  
6 but important, very important.

7 DR. WILLIAMS: This is Britt Williams. On this  
8 question of ITA Reports, the sticky wicket there is that  
9 the reports are proprietary to the vendors. The vendor  
10 contracts with the ITA to do the testing, and as it  
11 stands right now the reports are proprietary. And I  
12 think what we need to do is to define a public report.  
13 We certainly have no problem with the ITA's working and  
14 proprietary (indiscernible) with the vendors, but there  
15 should also be a report that is a public report. And we  
16 need for this committee to specify the content of that  
17 public report.

18 UNIDENTIFIED SPEAKER: We had the same issue. In  
19 other words, if I contracted with a testing authority to  
20 investigate a system that was considered private, the  
21 way we got around that, and we had to look at legal  
22 liability aspects and so forth, is we get the vendor to

1 agree to release the report to another bank to look at  
2 for the purposes of their auditing. It actually saves  
3 them a lot of time and money. They don't have to go  
4 through the same onerous test again. I believe you  
5 could probably work out something similar to that too.

6 DR. WILLIAMS: This is Britt Williams again. That  
7 happens now. I mean, any jurisdiction that is  
8 considering buying that system has no problem whatsoever  
9 getting the vendor to release the reports to them. But  
10 what I'm talking about is a report that would be  
11 released publicly without the vendors having to approve  
12 every single release of the report.

13 DR. SEMERJIAN: Well that's something certainly we  
14 can think about and maybe make some recommendations. I  
15 mean, it seems to me that keeping such a report entirely  
16 proprietary doesn't really serve any purpose, because in  
17 most cases the test is being done not only for the  
18 vendor's benefit but also for the election community.  
19 So having a two-step process where first they have a  
20 proprietary report and then you have to negotiate to get  
21 a release, whereas if as you say there was an agreed  
22 upon format or content that basically is expected to be

1 released for public consumption, certainly would cut a  
2 lot of the red tape.

3 UNIDENTIFIED SPEAKER: Yes. I guess as an example  
4 right now, the proprietary reports will contain a list  
5 of anomalies and specifically how those anomalies were  
6 resolved. The anomalies are not present in the end  
7 system, and how they were resolved frequently gets into  
8 the actual structure and internal design of the system.  
9 So obviously a vendor would not want that in the  
10 newspaper. But the fact that there was an  
11 indetermination and appropriate testing to verify that  
12 the system now met the standards would be in the public  
13 report.

14 DR. SEMERJIAN: Yes, certainly you don't want  
15 making public the interim reports or negotiations or  
16 whatever, but the final result of whatever, however the  
17 vendor may have responded to some other shortcomings  
18 that may have been identified and whatever. Are we  
19 comfortable, Mark, getting involved in such area of  
20 discussion?

21 MR. SKALL: Yes. I think we certainly agree with  
22 the intent of everything that's being said. I'd just

1 like to remind everyone that we certainly put in the  
2 standards that these things shall be publicly available,  
3 but I think where the rubber meets the road is the  
4 certification where in fact I think if the EAC and that  
5 certification imposes this, then the contractual  
6 agreements can be essentially swayed if they say that a  
7 certification shall only be granted if these aspects of  
8 the test report are made publicly available. I think  
9 that's how we put teeth into what we're proposing.

10 DR. SEMERJIAN: So am I hearing that, I mean, this  
11 is really perhaps more a recommendation to be made to  
12 the EAC rather than to NIST?

13 UNIDENTIFIED SPEAKER: No, I think it's going to  
14 have to be a reporting standard. I mean, all your  
15 evaluation standards have standards for reporting, and I  
16 think we're going to have to address that in the  
17 reporting standards.

18 DR. SEMERJIAN: Mr. Williams?

19 DR. WILLIAMS: Let me see if I can summarize this.  
20 We've got this laundry list of things that everybody's  
21 nodding their head, that if we address these things we  
22 could have an immediate impact on improving elections.

1 And so what are we doing? Instead we're using our  
2 resources to drive forward to write another version of  
3 voting system standards, when really the voting system  
4 standards we have in place right now are pretty  
5 adequate. So what we may be saying here is that we need  
6 to change our focus a little bit and do more of an  
7 analysis of what can we focus on that will have an  
8 immediate, beneficial impact on elections, and maybe  
9 back off a little bit on using all of our resources just  
10 to continue to refine technical standards.

11 DR. SEMERJIAN: Mr. Berger?

12 MR. BERGER: I completely agree. I think the only  
13 fair and effective approach is to prioritize as you're  
14 suggesting, Dr. Williams. If we want renewed focus on  
15 some areas that can bring quick and effective  
16 improvement, we need to equally say that we're reducing  
17 priority on other items. And I think we also need to  
18 ask the question how we might more effectively bring in  
19 wider stakeholder input to the process. A lot of these  
20 --

21 UNIDENTIFIED SPEAKER: (Indiscernible.)

22 MR. BERGER: Yes.

1 MR. GALE: Mr. Chairman?

2 DR. SEMERJIAN: Yes, go ahead.

3 MR. GALE: John Gale, Secretary of State for  
4 Nebraska. I guess I'm the highest election official on  
5 the committee and have been listening very closely to  
6 the discussion. And I'm fairly new to the committee, so  
7 what I may say may be pretty redundant to other  
8 discussions. But it seems to me that science, which is  
9 what you're involved in, is driven toward perfection and  
10 politics is simply the art of the possible, art of the  
11 practical. And if we drive this toward perfection, a  
12 scientific perfection that maybe accomplishes absolute  
13 certainty, it may result in equipment that can't be  
14 produced or states that can't afford it.

15 So I guess to me there's a balance between a  
16 standard that we try to set that vendors can live with  
17 and can price, and states can determine whether or not  
18 that equipment is going to be feasible for their various  
19 counties to purchase and to use. So for smaller states,  
20 and I think there's probably about two-thirds of the  
21 states that rely pretty heavily upon the standards  
22 whether they were the 2002 standards or the new 2005

1 standards, but these are Voluntary Voting System  
2 Guidelines. These are not federally-mandated  
3 guidelines. And so what we're not trying to do here,  
4 this is not a national mandate that everybody has to  
5 comply with whatever we come up with. And if we make  
6 this so difficult, so impossible, and so unwieldy in  
7 terms of cost, every state will have to have its own  
8 certification process which will be different but is  
9 going to be more practical for them to live with in  
10 terms of the costing of equipment and for vendors to be  
11 able to supply the equipment. So a drive to absolute  
12 certainty on every issue I think fails the vendors by  
13 making it impossible to produce a product that will  
14 allow them a profit and a market. And it may be that,  
15 particularly for the smaller two-thirds states, they  
16 can't afford the equipment because the standards are way  
17 too high for what is affordable for their practical use  
18 in their state.

19       So I'm trying to balance the discussion here in  
20 terms of the art of certainty versus the art of the  
21 possible in what we're trying to accomplish. I think  
22 the vendors have to know -- I remember the discussion in



1 our state about whether we were going to go with DREs or  
2 are we going to stick with paper ballots in some form.  
3 And when the whole discussion came up about the Voter-  
4 Verifiable Paper Audit Trail, we were able to determine  
5 from vendors that was going to add about \$500 to each  
6 piece of equipment that we might purchase for compliance  
7 with the need for handicapped and visually-impaired  
8 equipment in each precinct. And that really made a  
9 difference in terms of our approach on that issue. So I  
10 don't know, I think we have to remain conscious all the  
11 time of the fiscal impact of what we do. And I don't  
12 know that we can add a fiscal note to each of the  
13 additional requirements that we want to impose, but if  
14 we impose so many requirements that the fiscal element  
15 is ignored, we haven't accomplished anything because  
16 states won't follow those voluntary standards because  
17 they're impossible to follow.

18 MS. QUESENBERY: May I ask for clarification?

19 DR. SEMERJIAN: Ms. Quesenbery?

20 MS. QUESENBERY: This is Whitney Quesenbery. I'm -  
21 - this is truly a question and not a statement. Are you  
22 talking about the, if the content of the VVSG

1 requirements makes the equipment too expensive to  
2 purchase, or are you talking about a situation in which  
3 the test requirements for the states wouldn't be too  
4 great a burden, or something else entirely?

5 MR. GALE: Well I guess what I'm saying is it seems  
6 like our standards, since they're voluntary standards,  
7 have to permit some flexibility, some choices of vendors  
8 in terms of the quality of product. Are they trying to  
9 produce a Chevrolet for Nebraska, or a Cadillac for New  
10 York? What, is it a minimum standard or a maximum  
11 standard? If it's a minimum standard, then vendors know  
12 they can produce a lower quality, maybe an economy-level  
13 piece of equipment that will work well in the Great  
14 Plain State. Maybe in California and Florida they need  
15 a much more complicated and sophisticated equipment that  
16 can be afforded by those states. But if our standard is  
17 a standard to try to meet the needs of New York City or  
18 Los Angeles, Arthur County, Nebraska is in a different  
19 world in terms of their affordability of that equipment  
20 that meets that standard.

21 DR. SEMEJIAN: It's past 12 o'clock. We have one  
22 other long presentation. I think with Mr. Berger's

1 concurrence, I would like to propose that, you know, we  
2 think about -- I think there were a lot of important  
3 points made here. Think about those, and then at the  
4 end of the day when we talk about motions to be put on  
5 the table, if there is the general feeling that there is  
6 a resolution to be proposed then we can do that at that  
7 time. I would like to proceed with the presentations.  
8 Mr. Harding, last word.

9 DR. HARDING: I would like then the professional  
10 courtesy just to sneak one more in, because it is the  
11 appropriate time regarding our Commissioner's comments,  
12 the EAC's Director, and the general heartbeat that was  
13 around this table, which was essentially we have a  
14 pretty good document right now that has evolved  
15 significantly in the history of our voting. And the  
16 question really is, well how is this document going to  
17 play out in our communities, and can we take the content  
18 of that, identify what states are in fact going to live  
19 up to these expectations here in this '06 round. Might  
20 we be able to identify and study some of those things  
21 for really implementation, correction, and action items  
22 for the '07 rendition of this? And I would like to

1 specifically speak to that of the disabled community.  
2 And if I could, Mr. Chairman, I would like to introduce  
3 a small resolution regarding the TGDC and the EAC with  
4 Outreach for the disabled community.

5 DR. SEMERJIAN: Can we do this at the end of the  
6 day?

7 DR. HARDING: We could.

8 DR. SEMERJIAN: If you don't mind I would like to  
9 proceed, because we were going to have two presentations  
10 and we're now going to have only one presentation -- is  
11 that right -- before lunch so that we don't fall too far  
12 behind our schedule. And I promise that we will have  
13 the opportunity for you to present your resolution.

14 DR. HARDING: Thank you.

15 DR. SEMERJIAN: At this point we will have the  
16 first of two presentations. And I call on Dr. Alan  
17 Goldfine of our Information Technology Laboratory to  
18 present part of the Core Requirements and Testing  
19 Subcommittee preliminary report. And after -- see we  
20 have to really break at 12:30, otherwise there won't be  
21 any lunch left out there, and I don't think that would  
22 be very hospitable for us. So we'll simply have the

1 presentation and then break for lunch. And then when we  
2 come back we'll have Dr. Flater's presentation, and then  
3 we can have the discussion. Go ahead, Alan.

4 DR. GOLDFINE: Thank you, Dr. Semerjian. It says  
5 part 2 but, you know, it's turned into part 1.  
6 Fortunately what I was planning to do would be a brief  
7 overview with the attempt not to get bogged down into  
8 technical details. So I'm going to proceed along those  
9 lines. Okay, I'm going to talk very briefly about what  
10 we are doing with respect to a number of areas of  
11 requirements, you know, with the CRT Group, Electrical  
12 Radio Frequency Requirements, performance requirements,  
13 and workmanship requirements in general, Quality  
14 Assurance and Configuration Management, a brief  
15 discussion of future work in this area with the little,  
16 you know, roadmap as to what to expect first. And then  
17 if in fact there's two minutes left at the end, you  
18 know, some discussion time.

19 Okay, in terms of Electrical and Radio Frequency  
20 Requirements, we are in fact looking at them with an  
21 attempt to update them. These requirements were in fact  
22 updated for the VVSG as the result of the public, or

1 comments received during the public review. Most of the  
2 changes were rather minor in terms of values and  
3 terminology and so on. We're looking at it from a  
4 slightly broader perspective to try to reflect the  
5 latest available information in these areas to reference  
6 applicable standards, rather than repeating or  
7 excerpting text from those standards which seemed to be  
8 done in a number of places in the existing standard; to  
9 also clearly separate requirements from testing  
10 specifications, which again, two things that got a  
11 little bit blurred. What we're working on are the  
12 requirements. Testing specs come later as part of a  
13 separate document. And finally, to distinguish in this  
14 area between requirements that are in fact unique to  
15 voting devices as opposed to requirements on any  
16 electrical device. So if we're talking about an FCC  
17 requirement on, you know, electromagnetic emissions or  
18 something like that, that's applicable to any device.  
19 Now the question is, is there or are there requirements,  
20 necessary requirements that are specific to voting  
21 devices. That's the area that, you know, we really need  
22 to specify, and more important to test to.

1           For Performance and Workmanship Requirements in  
2 general, after the completion of the December VVSG, we  
3 then, you know, made a rather major effort to go through  
4 the entire collection of public review comments. I  
5 heard a figure of 6,000. I'm not sure if the number  
6 ever totally stabilized, but we stepped through each and  
7 every requirement, not just the ones that were  
8 considered to be carry over, to try to extract, to  
9 discover, extract, and analyze any of them which would  
10 be relevant to our rethinking of the VVSG. So based on  
11 that analysis, we did make quite a few, or a number of  
12 revisions to the VVSG. For example, we removed the  
13 availability requirements. The model that had been used  
14 for this, which most importantly factored in repair time  
15 of voting devices, was unrealistic and we felt not  
16 really helpful in achieving the goal of reliability. So  
17 the goal of reliability of equipment is now an even more  
18 central requirement, defined solely through the concept  
19 of mean time between failure. A little bit more on that  
20 in a minute, but the point is that revisions were made  
21 based upon what we extracted from the public review  
22 comments. Many of the requirements that we had were in

1 fact moved to the other part of the CRT report, you  
2 know, cast, count, and report.

3       Okay, Quality Assurance and Configuration  
4 Management, this of course is not a new issue. It was  
5 identified as an issue by a previous TGDC resolution.  
6 The current text -- it's not that the current text is  
7 poor or totally inadequate, but it provides general  
8 goals and good practices. Unfortunately it's mostly not  
9 specific to voting systems. It's also not very  
10 explicit, not very amenable to verification, to testing,  
11 to certification, and that sort of thing. So we are  
12 actively involved in establishing dialogues with  
13 relevant parties. I know I've had dialogues with a  
14 number of people on the TGDC and, you know, several of  
15 the vendors regarding what is being done in this area,  
16 what is the appropriate approach to take.

17       Future work, the first major step is to finalize  
18 the performance requirements and workmanship  
19 requirements. There are still open questions in the  
20 document that's up on the web. Most of those though  
21 have default solutions attached to them. They've  
22 simmered for a while. We've talked to people, we've had



1 dialogues, we've asked questions, published issue  
2 papers, and so on. We have reached the point on all of  
3 them, I think, where it's time to, you know, fish or cut  
4 bait. We're going to resolve them.

5       We will complete the revision as I said of the  
6 Electrical and RF Requirements and create -- I'm  
7 grouping the first three together -- create a single CRT  
8 document via a merge with David Flater's document. So  
9 it will be a single CRT document to look at. These are  
10 the most immediate work tasks. I think that these  
11 should be pretty much complete in at least some sort of  
12 a coherent, complete draft form within the next couple  
13 of months. They will be well before the next TGDC  
14 meeting, the next couple of months. The products will  
15 be out there on the web and we will certainly be  
16 publicizing them as much as possible. After that we  
17 need a lot of informative text regarding these areas.  
18 You know, that remains to be written. There are a  
19 number of places as I was reviewing the documents where  
20 there are still notations to the effect that the  
21 coordination or integration needs to occur with the  
22 other two subgroups, with STS and HFP, where yes, we can

1 proceed to a certain extent, but questions that need  
2 their input still remain. And this is again something  
3 that's going to be done in the immediate months ahead.

4 I mentioned the reliability requirement issue and I  
5 don't want to get too deeply into it, but basically it  
6 can be boiled down to the one sentence that the mean  
7 time between failure of voting systems shall be at least  
8 163 hours in duration. We're not totally sure the  
9 history of this, where the number 163 came from. The  
10 feeling, the consensus that we've got is that it's  
11 probably too small a number, but should the number be  
12 increased, to what? I mean you begin to run into all  
13 sorts of affordability issues here as well. You know,  
14 you could test forever, but is that practical from a  
15 cost point of view. Again, this will be the focus of a  
16 significant evaluation and analysis in the months ahead.

17 And finally the Quality Assurance and Configuration  
18 Management, all sorts of different aspects of looking to  
19 this should a published standard or multiple published  
20 standards be adopted. For example, the ISO 9000 series,  
21 or really should the ideas within published standards be  
22 adopted, because then you're inventing your own

1 standard. These are questions that we've been asking  
2 and trying to come up with a consensus for. One thing  
3 that may become necessary for this particular issue is  
4 this may begin to sort of veer onto the policies and  
5 procedures question. And we may say well, how would the  
6 EAC weigh in on this, what do they want to do.

7       Beyond all of this, as we've indicated before, we  
8 need to develop the draft standards on data to be  
9 provided, and of course develop the draft testing  
10 standard as well. Those are of course, as has been  
11 indicated, longer-range issues, although the long range  
12 is becoming shorter and shorter as each month goes by.

13       That's a quick overview of what I had to say. Is  
14 there any discussion on this?

15       DR. SEMERJIAN: Any quick questions?

16       MR. CRAFT: No questions. Comments.

17       DR. SEMERJIAN: Mr. Craft?

18       MR. CRAFT: The one item that stands out in future  
19 work is the configuration management and system  
20 validation. And I know I've harped on this for a couple  
21 of years but that is the most critical item on this  
22 list, and I feel it needs much more attention than it

1 has been given. If every Elections Administrator in  
2 this country is not capable of either validating or  
3 getting to consulting services that will help them  
4 validate their voting system and prove that it is in  
5 fact a certified system, all of this work is for  
6 nothing. Now there are five people I believe in this  
7 room who can go in with a high rate of reliability and  
8 validate a voting system. Three of them are in my  
9 company. And as a business perspective I'm not  
10 disappointed in that, but as public policy that's a very  
11 bad thing. There are very few people outside of this  
12 room who have that expertise. I know we have done quite  
13 a bit of work with the National Software Reference  
14 Library. And when I was running the program in Florida,  
15 we did quite a bit of work with some of the vendors on  
16 system validation models. That's something that needs  
17 to evolve. Almost beyond evolving is a standard. It  
18 needs to be developed as a process, jointly push forward  
19 by the EAC with the assistance of NIST. We've got to  
20 get to the point where states and local jurisdictions  
21 can have confidence that in fact the system there  
22 running is what they think they're running, what they're

1 legally supposed to be running.

2 DR. SEMERJIAN: Any other quick questions or  
3 comments? Mr. Berger:

4 MR. BERGER: Alan, on your last point, just one  
5 question since a couple of times you brought up the  
6 economic issue. Do you currently have an idea of what  
7 it costs to test to 2005 as you're looking to developing  
8 the draft test standards for future testing?

9 MR. GOLDFINE: Right now no, but obviously, you  
10 know, that's a crucial consideration which can't be  
11 overlooked.

12 DR. RIVEST: I have a question.

13 DR. SEMERJIAN: Yes, Dr. Rivest.

14 DR. RIVEST: Ron Rivest. Yes, are all of the  
15 reliability requirements stated in terms of hours, or is  
16 some of it amount of use, the number of voters processed  
17 or number of pages printed, or whatever?

18 MR. GOLDFINE: For the most part it centers around  
19 that mean time between failure.

20 DR. RIVEST: So it's going to be some sort of norm  
21 for usage rate?

22 MR. GOLDFINE: (Indiscernible.)

1 DR. RIVEST: Thanks.

2 DR. SEMERJIAN: Mr. Harding?

3 DR. HARDING: Thank you, Mr. Chairman. What Mr.  
4 Craft raised just a minute ago in a sense can be very  
5 troubling. If we've got less than a half dozen people  
6 who are capable of certifying a system, then we need to  
7 certainly figure out how our guidelines and  
8 specifications are expressed or articulated and a  
9 methodology that literally gives the layperson  
10 confidence that whatever is in his or her county meets  
11 this basic guideline. And I think ultimately -- we talk  
12 about our election manufacturer is our customer and  
13 stuff. Our customer is the people. They just happen to  
14 be the ones in the middle. But if whatever we  
15 promulgate and then goes up the food chain cannot be  
16 understood by the average voter, then we haven't done a  
17 whole lot of service. And I'm troubled if we only have  
18 a half dozen people in the country who can go around to  
19 some municipality and bless this machine. And if the  
20 characteristics of a certified machine aren't clear  
21 enough and aren't easily recognizable enough, well then,  
22 ladies and gentlemen, we haven't done a very good job.

1 And maybe we need to dumb it down. But the average  
2 person needs to know what a certified machine looks  
3 like, what are those characteristics, and how he or she  
4 might be able to validate that in their own  
5 observations.

6 MR. CRAFT: If I may comment, Mr. Chairman.

7 DR. SEMERJIAN: Yes, Mr. Craft.

8 MR. CRAFT: Actually, J. R., there's about a dozen  
9 of us which is still not enough. And the elections  
10 community has been beat to death since 2000 by the  
11 activist community with the one question, how do you  
12 know. How do you know, how do you know, how do you  
13 know, what if, how do you know. The answer -

14 **(END OF AUDIOTAPE 2, SIDE B)**

15 \* \* \* \* \*

16 **(START OF AUDIOTAPE 3, SIDE A)**

17 MR. HARDING: -- the release test, and what's the  
18 other phrase?

19 MR. CRAFT: Well the system validation, the ability  
20 to go in and look at the code running on a system --

21 MR. HARDING: Well stop, Paul. Stop. You gave two  
22 words a moment ago.

1 MR. CRAFT: Okay. System validation.

2 MR. HARDING: There was another piece to it, but  
3 fine. Let's define system validation so that the  
4 layperson can be able to see that, quantify it, and then  
5 a local, you know, whether it's Ian or it's Alice, you  
6 know, simply put it out there, this is how it's done.

7 MR. CRAFT: Yes.

8 DR. HARDING: That process.

9 UNIDENTIFIED SPEAKER: (Indiscernible.)

10 DR. SEMERJIAN: Dr. Williams?

11 DR. WILLIAMS: It's Britt Williams. This  
12 situation, J. R., is not quite as grim as Paul describes  
13 it because what he's excluding is all of the people that  
14 work for vendors and all of the election officials.  
15 What Paul's talking about is people who are available to  
16 go and do this work. There's not many of those. There  
17 are a lot more people that are capable of doing it, but  
18 they're either election officials or they're vendors or,  
19 you know, they're people that would have a conflict of  
20 interest.

21 DR. SEMERJIAN: Mr. Berger? Last comment before  
22 lunch.



1           MR. BERGER: I always love to have the last  
2 comment. Thank you. I would just point out if we look  
3 at this again as a system, a certification conformance  
4 system, in the International Standards there's an ISO  
5 17025 that says you need to think about the  
6 qualification of the people in the system to do whatever  
7 function you're expecting of them. I think that's a  
8 piece of what Paul's talking about, and I think it  
9 serves us all well to think about have we done the work  
10 to make sure that people know what they need to do at  
11 each function in the system.

12           DR. SEMERJIAN: Okay. With that, I'd like to close  
13 this morning session. We will get together again at  
14 1:30. You are welcome to join me in dining room A or B.  
15 This is for the TGDC members only and NIST staff. So if  
16 you would like to do that, you can get your lunch in the  
17 cafeteria. As you go from here, the cafeteria is on the  
18 right side. The dining rooms are on your left side. So  
19 you can get your food in the cafeteria and then come and  
20 join in a little more private setting to have our lunch.  
21 And then we'll start again at 1:30. Thank you.

22           (Lunch break.)

1 UNIDENTIFIED SPEAKER: Phil Greene, are you here,  
2 ready for the beginning of this meeting? Phil Greene?

3 UNIDENTIFIED SPEAKER: He's on his way back. He'll  
4 be here.

5 (Pause.)

6 DR. SEMERJIAN: Good afternoon. I call this  
7 afternoon session of the sixth meeting of the TGDC back  
8 to order. And I would like to request that Mr. Phil  
9 Greene call the role and determine if a quorum is  
10 present. Mr. Greene?

11 MR. GREENE: Thank you, Dr. Semerjian. The  
12 afternoon role call. Williams?

13 DR. WILLIAMS: Here.

14 MR. GREENE: Williams is here. Berger?

15 MR. BERGER: Here.

16 MR. GREENE: Berger is here. Karmol?

17 MR. KARMOL: Here.

18 MR. GREENE: Karmol is here. Craft?

19 MR. CRAFT: Here.

20 MR. GREENE: Craft is here. Gale?

21 MR. GALE: Here.

22 MR. GREENE: Gale is here. Elekes?

1 MR. ELEKES: Here.

2 MR. GREENE: Elekes is here. Gannon?

3 MR. GANNON: Here.

4 MR. GREENE: Gannon is here. Harding?

5 UNIDENTIFIED SPEAKER: (Indiscernible.)

6 MR. GREENE: Harding is on his way. Miller?

7 MS. MILLER: Here.

8 MR. GREENE: Miller is here. Purcell?

9 MS. PURCELL: Here.

10 MR. GREENE: Purcell is here. Quesenbery?

11 MS. QUESENBERY: Here.

12 MR. GREENE: Quesenbery is here. Rivest?

13 DR. RIVEST: Here.

14 MR. GREENE: Rivest is here. Schutzer?

15 MR. SCHUTZER: Here.

16 MR. GREENE: Schutzer is here. Turner Buie?

17 MS. TURNER BUIE: Here.

18 MR. GREENE: Present by telephone. And Semerjian?

19 DR. SEMERJIAN: Here.

20 MR. GREENE: Semerjian is here. We have 14 in

21 attendance. That's more than enough for a quorum.

22 DR. SEMERJIAN: Thank you, Mr. Greene. At this

1 time I'll call on Dr. David Flater of the NIST  
2 Information Technology Laboratory to continue with the  
3 second half of the presentation on Core Requirements and  
4 Testing Subcommittee preliminary report. David?

5 DR. FLATER: Thank you very much. Well normally  
6 one would have lots of style points deducted for having  
7 a presentation that's too short. I understand that  
8 today a general amnesty has been announced. So I shall  
9 omit needless words, and if the committee sees that I'm  
10 breezing past an issue that they'd like to discuss  
11 please slow me down.

12 My presentation covers what appears in the binders  
13 as two documents. One contains requirements on Casting,  
14 Counting, and Reporting, plus a section on closing  
15 polls, and another is the Conformance Clause. I'm going  
16 to focus on the Requirements for Casting, Counting, and  
17 Reporting. With respect to closing polls, I'm just  
18 going to talk about early voting and how that relates.  
19 And with respect to the Conformance Clause, I'm just  
20 going to talk about a classification mechanism that's  
21 been introduced into the standard.

22 First, the Casting Section. The Casting Section is

1 broken down into six subsections. First, ballot  
2 activation which previously has been only appearing on  
3 DRE systems. This is the behavior in which the system  
4 has all of the ballot formats available to it, and it  
5 delivers to the voter the ballot format that's  
6 appropriate to that voter. General voting functionality  
7 is just the interactions with the voter, which has a  
8 great deal of overlap with the Human Factors and Privacy  
9 area. Voting variations is one of the sections, or one  
10 of the areas where the requirements have been  
11 substantially expanded versus the previous standards  
12 Earlier there were some comments about how we should  
13 look at requirements and testing for behaviors that are  
14 of interest to individual states that do not appear in  
15 the old standards. Well I'm happy to inform you that  
16 NIST has anticipated this need, and in the documents in  
17 front of you the included variation requirements cover  
18 such things as cumulative voting, NFM (phonetic sp.)  
19 voting, and straight-party voting, which previously did  
20 not get a lot of language in the old standard. It just  
21 said the vendor shall describe how the system might or  
22 might not support these. In the new standard there are

1 actually requirements saying if you claim to provide  
2 this functionality, this is what the system must do.

3         Recording votes deals with when the voter hits the  
4 cast ballot button and other events surrounding that.  
5 Redundant records has to do with the historical  
6 requirement that DRE shall retain more than one copy of  
7 the cast vote record. And respecting limits has to do  
8 with the fact that a tabulator should stop before there  
9 is the threat of overflowing a counter. Now these names  
10 for these different subsections are of course tentative,  
11 and they'll be replaced with whatever words are most  
12 effective at communicating the intent.

13         One of the major adjustments that was made in the  
14 Casting Requirements is to expand them to include a  
15 class of voting devices that we have called EBMs, or  
16 electronically-assisted ballot markers. These are  
17 devices that provide some sort of electronic interface  
18 to the voter, and at the end of the interaction with the  
19 voter produces a ballot on paper. Earlier there was  
20 some discussion about expanding the standards to cover  
21 vote by phone. And I'm again proud to announce that  
22 NIST has anticipated this need. The vote by phone

1 system I believe satisfies the requirements to be an  
2 electronically-assisted ballot marker. It's providing  
3 electronic interface to the voter, which is very similar  
4 to the audio interface on a DRE. And at the end of the  
5 process you get a paper ballot.

6 Now we are aware of two different variations of  
7 electronically-assisted ballot markers. In one of these  
8 variants, the poll worker gives to the voter a ballot  
9 that is preprinted with the appropriate ballot format  
10 already. And what the EBM does is assist the voter in  
11 filling in the ovals, as it were. The EBM does not have  
12 the capability to serve the voter with other ballot  
13 formats. But there is a subclass of systems, which  
14 we've called electronic ballot printers, which in fact  
15 do have all the ballot formats available to them, and  
16 they print an entire ballot. You do not have to supply  
17 this equipment with a preprinted ballot that has a  
18 ballot format chosen. The interaction is very much like  
19 with the DRE. The poll worker assigns a ballot format,  
20 but the actual production of a ballot of that particular  
21 format is done by the equipment. EBMs therefore can  
22 support ballot activation. And the requirements that

1 previously applied -- or EBPs, rather can support ballot  
2 activation. And the requirements that previously  
3 applied only to DREs with respect to ballot activation  
4 have been adjusted to include EBPs and their scope. All  
5 EBMS on the other hand support the sort of interaction  
6 with the voter that DREs support. So those DRE  
7 requirements have been adjusted to include all the EBMS  
8 and their scope.

9 Other changes with respect to the --

10 DR. SEMERJIAN: Excuse me, David. There is a  
11 clarification.

12 MR. GALE: I had a question. John Gale. Was this  
13 at the direction of the TGDC, this merger of the EBMS  
14 with the DRE standards?

15 DR. FLATER: I wouldn't call it a merger. There  
16 was discussion at some point about we have to extend the  
17 scope of the existing standards to cover these new kinds  
18 of technologies and systems that are appearing that we  
19 don't know how to apply the standards to. I believe  
20 that the discussion was at that general level. EBMS,  
21 EBPs, including vote by phone fall into that category.  
22 This really, although it's significant in terms of its



1 impact, in terms of meddling with the standard it wasn't  
2 that significant. It was simply a matter of observing  
3 that these requirements that previously said DRE shall  
4 are really referring to a broader class of systems,  
5 meaning all systems that either provide an electronic  
6 interface to the voter, which can support a certain kind  
7 of interaction, or all systems that can support ballot  
8 activation.

9 MR. GALE: One of my concerns was anticipation of  
10 the issue that the voter verifiable paper audit trail  
11 produces a piece of paper that's not a ballot. The  
12 electronically-assisted ballot marker produces a paper  
13 ballot. It's the genuine document that registers the  
14 vote that is cast by the voter, where the verifiable  
15 paper audit trail document is not the official ballot.  
16 So there's a fundamental legal difference between the  
17 product of both of those two pieces of equipment. Maybe  
18 the essence of the construction and the function is  
19 similar enough to combine them, and I can understand why  
20 you need to cover new forms of equipment. But if the  
21 outcome of this is that the paper ballot of an EBM is  
22 identical with a voter verifiable paper audit trail

1 record, then it's fundamentally in error.

2 DR. FLATER: These two systems, EBMS as opposed to  
3 DRE plus VVPAT, are presently in the draft classified  
4 separately. The requirements on VVPAT are completely  
5 separable from the requirements on DRE per se, or EBM  
6 per se.

7 MR. GALE: Okay. Thank you.

8 DR. FLATER: Other changes that were made in the  
9 Casting Section. There was a requirement in the IEEE  
10 draft having to do with what happens to half-finished  
11 ballots when both the primary and secondary power go  
12 out, meaning we're in a terrible failure situation and  
13 our line power is out, our backup power is exhausted.  
14 Apparently there's a concern if the half-finished ballot  
15 is preserved as part of the state that is preserved on a  
16 system that, when this system is brought back possibly  
17 hours later with different people present, that there  
18 could be a violation of privacy and/or an opportunity to  
19 cast someone else's ballot that we don't want. This  
20 requirement needs a little bit of polishing and we need  
21 to harmonize it with respect to the general requirement  
22 that says, if a system fails it shall preserve its

1 state, and basically saying little more than that. A  
2 little more adjustment is needed, but the general  
3 sentiment that the half-finished ballot should not be  
4 part of the checkpoint that is saved by a system makes  
5 sense.

6 MR. CRAFT: Well unfortunately -- this is Paul  
7 Craft -- that is an issue that is going to be covered by  
8 state elections codes and will vary from state to state.  
9 The systems are going to have to be able to accommodate  
10 the requirements of the state in which they're fielded.  
11 And the important thing I would think for the system is,  
12 number one, the way it handles that condition is  
13 entirely predictable and entirely determinable. So  
14 there is no question as to whether that ballot is going  
15 to be saved or whether it will be canceled in the event  
16 of that catastrophic failure. It needs to be a known  
17 quantity, it needs to be tested. And then the states  
18 will have to look at the way that's handled or specify  
19 the way that it's handled when they buy their systems.

20 DR. FLATER: Are you aware of a state that has a  
21 specific statute describing the disposition of a ballot  
22 that is half finished at the point when the equipment

1 becomes unusable?

2 MR. CRAFT: I don't know of any states that have a  
3 specific statute as to when the equipment becomes  
4 unusable, but most have a statute as to abandoned  
5 ballots. And I think in the condition where this ballot  
6 was left and not recovered until several hours later, it  
7 would fit the description of an abandoned ballot. And  
8 it would be handled consistent with however the state  
9 handles abandoned ballots.

10 DR. FLATER: I think there's a lot of questions  
11 there.

12 UNIDENTIFIED SPEAKER: So couldn't you say that the  
13 design or the disposition should be policy driven and  
14 testable that way, in which case the equipment could be  
15 used either way, depending upon how the state chooses to  
16 use it? You define in a policy the disposition of an  
17 unfinished ballot and you can test it that way, too.

18 UNIDENTIFIED SPEAKER: I have a question for you or  
19 for -- I mean, this is something we'll have to deal with  
20 in the future. I'd suggest this is a question for some  
21 future time. But the question I would have, I'm aware  
22 that there are jurisdictions in which if a ballot is

1 abandoned that they bring in two witnesses and they page  
2 through the ballot and they cast half-finished ballot.  
3 My question would be how do you, I mean, if the measure  
4 of voter intent is that they cast the ballot, then I  
5 don't understand the integrity of a half ballot in that  
6 situation that the voter did not cast.

7 MR. CRAFT: Well first off, you cannot determine  
8 the voter's intent. Period. It can't be done. You can  
9 come to objective conclusions as to whether the voter  
10 made a clear indication of his choices, and we've beat  
11 that language to death in here before and the state of  
12 Florida beat it to death in federal court several times.  
13 Still, even in those kinds of determinations the state  
14 election code will probably address how to handle that.  
15 If not, then their court cases hopefully will. And if  
16 not, then they have opportunities for doing new stuff in  
17 the future. You know, how you handle, I mean, obviously  
18 we know the voter left the dead machine with a half-  
19 completed ballot on it. Did he leave with the belief  
20 that the vote was counter or not? Did he leave with an  
21 understanding that he needed yet to vote or not? What  
22 are the rights and responsibilities of all the parties

1 involved in that. That's an issue of the state election  
2 code and it's not something that we should be dictating  
3 in our federal standard, unless Congress wants to pass a  
4 law that controls it.

5 UNIDENTIFIED SPEAKER: Well another case to be  
6 handled here is the case where one machine dies instead  
7 of all of them, in which case it would be reasonable to  
8 offer that voter the opportunity to cast a ballot on  
9 another machine. And you don't want to retain that  
10 half-finished ballot, but --

11 MR. CRAFT: Yes, that's why you need to know how  
12 the machine's going to handle the situation, how the  
13 election administrator should handle the aftermath of  
14 it. Probably you would take that machine out of service  
15 and resolve it later, but it's got to be very clear how  
16 that incident is going to be handled.

17 MR. GALE: Mr. Chairman?

18 DR. SEMERJIAN: Go ahead please.

19 MR. GALE: John Gale, the Secretary of State,  
20 Nebraska. Alice Moore (phonetic sp.) might be able to  
21 answer this better, but I think every state provides for  
22 resolution boards in every precinct. And the resolution

1 boards handle spoiled or abandoned ballots and they're  
2 able to transfer the information on the spoiled ballot  
3 to a new document which doesn't change the nature of it  
4 as a ballot. Could you explain that for us?

5 MS. MILLER: That's -- excuse me. Alice Miller.  
6 That is absolutely correct. We have a process in the  
7 District of Columbia that would account for how you  
8 would handle a spoiled ballot so to speak. And the  
9 ballot would be remade and then cast at another point.  
10 But it certainly is a process in place with respect to  
11 all of these sorts of things that would be addressed by  
12 our law and our procedures where the law was lacking.

13 MR. GALE: And the one that's being replaced is  
14 marked --

15 MS. MOORE: It's marked.

16 MR. GALE: -- with an identical mark with the one  
17 that's being cast so you can --

18 MS. MOORE: That's correct. It's identically  
19 marked --

20 MR. GALE: -- you can trace that?

21 MS. MOORE: -- it's traced and it's put with the  
22 ballot that has been spoiled so that there is a clear

1 record that the ballot was remade according to the  
2 voter's direction.

3 DR. SEMERJIAN: But doesn't that assume a paper  
4 ballot?

5 MS. MOORE: Yes, that's a paper ballot.

6 DR. SEMERJIAN: I mean, this is a broader issue,  
7 isn't it? I mean, the question is, what will the  
8 machine do if somebody voted halfway through and then it  
9 went clunkity-clunk. Was that ballot recorded or not  
10 recorded? If you don't have a paper system, doesn't  
11 that remain a question?

12 MS. MOORE: It is a question for the DRE but --

13 DR. SEMERJIAN: Right.

14 MS. MOORE: -- the way it might be handled, and I'm  
15 not sure about this, is to use the absentee process  
16 where we would have a paper in place.

17 DR. SEMERJIAN: I'm not the expert here, but my  
18 impression is you want to be able to, you want to know  
19 what the machine will do in such a case.

20 UNIDENTIFIED SPEAKER: Dr. Semerjian?

21 DR. SEMERJIAN: Yes.

22 UNIDENTIFIED SPEAKER: In the interest of time,



1 because I think this is a much more detailed discussion  
2 than we ought to be having here, this might be a topic  
3 for a CRT Subcommittee meeting. And a perfectly good  
4 example of where, if the agenda was published,  
5 everybody, people with particular expertise might choose  
6 to join that meeting to be able to talk about it.

7 UNIDENTIFIED SPEAKER: Agreed.

8 DR. SEMERJIAN: Thank you. I guess the suggestion  
9 is we move ahead.

10 DR. FLATER: The next minor change that won't be  
11 controversial is an adjustment to the requirement  
12 regarding the redundant records that are kept by DREs.  
13 In the existing spec, there were words in there saying  
14 that a DRE shall keep at least two copies of the cast  
15 vote record. That seems fairly unambiguous. But then  
16 this requirement is elaborated with some words about  
17 recording it via a separate path that raises a lot of  
18 questions. These additional words seem to be aimed at  
19 improving the auditability of the system, but they don't  
20 go very far in terms of explaining what is meant by a  
21 separate path. How separate does it have to be to be  
22 separate, etc. Now the Security and Transparency

1 Subcommittee has spent a lot of time looking at the  
2 issue of auditability and independent verifiability, and  
3 what it means for separately recorded records to be  
4 separate. And so the adjustment I have made to these  
5 requirements is to focus them strictly on the  
6 recoverability issue. This requirement says you shall  
7 keep two copies of the cast vote record for  
8 recoverability purposes. And the issue of whether they  
9 are separate or independent processes, this is entirely  
10 handled under the sections being developed by the  
11 Security and Transparency Subcommittee. At the same  
12 time however, I've adjusted these requirements to make  
13 them compatible with the recommendations coming out of  
14 STS. Specifically, there was a requirement saying that  
15 one of these two records shall be designated as the  
16 primary record. The requirements for auditability said  
17 they should both be equally good. So I removed the  
18 requirement saying that one of them shall be designated  
19 as primary. What's left there are words saying that you  
20 shall keep redundant records. From a recoverability  
21 point of view, there's nothing wrong with that.

22 Finally, in the old standard there was a

1 prohibition about overflowing counters and tabulators.  
2 Unfortunately it was buried in the Testing Standard part  
3 of the document. I've moved that into the main part of  
4 the requirements, clarified it, and generalized it to  
5 say, for example, if a DRE is at capacity or is in  
6 danger of exceeding its capacity through some way of  
7 voting in the next ballot, it shall not enable a next  
8 ballot.

9       Now with respect to the state-specific variations  
10 that I elected not to get into, but we can make  
11 adjustments here if needed, one is the merged ballot  
12 approach to open primaries. Open primaries in general  
13 is a primary election in which the voter gets to choose  
14 which party's ballot to vote on, which party's ballot  
15 format to vote on. In a DRE-type system, you can simply  
16 ask the voter, which party do you feel like today and  
17 serve them with a ballot format which is applicable to  
18 that party. In a paper-based system, you have several  
19 choices of how to approach this. You can have the poll  
20 worker ask which party do you feel like today and give  
21 them that ballot format. There might be a privacy  
22 concern there. To alleviate that concern, you can

1 simply make all of the formats available to the voter  
2 somehow. Or you can use the merged-ballot approach. In  
3 the merged-ballot approach, all of the partisan contests  
4 for all the parties are included in a single ballot  
5 format, and the voter is instructed to only vote in one  
6 set of applicable contests. The draft standard does not  
7 prohibit this, but it also does not require the extra  
8 logic that a system would have to include to correctly  
9 process this kind of a ballot. So this would remain an  
10 extension to the standard, just as it was in previous  
11 versions of the spec. If the vendor does this, they  
12 shall describe how they do this, but you can support  
13 open primaries without doing this.

14 MR. CRAFT: Do we have an example of a state that  
15 uses a merged-ballot process, or is this something that  
16 you foresee emerging?

17 DR. FLATER: This actually was -- I cannot site the  
18 example. I know that there is at least one brand of  
19 equipment that supports this. And I would guess that if  
20 the equipment supports it, there's a reason.

21 MR. CRAFT: Okay.

22 UNIDENTIFIED SPEAKER: That's not necessarily a

1 good assumption.

2 DR. FLATER: Well then it's just as well that I  
3 didn't write this into the draft. The other one is  
4 having the recall candidacy linked to the recall  
5 question. There are at least three different ways of  
6 doing recalls. The first simple way is you have a  
7 question, do you want to recall this person, yes or no,  
8 following by another question, assuming this person is  
9 recalled, who should the replacement be. The simple  
10 approach is simply to have these be two independent  
11 questions. On the other hand, there are some  
12 jurisdictions in which the voter is not entitled to vote  
13 on the replacement unless the voter has first voted one  
14 way or the other on the recall question. In other  
15 jurisdictions, the voter is not entitled to vote on who  
16 the replacement is unless the voter voted in the  
17 affirmative for the recall question.

18 As with the merged-ballot approach, we have some  
19 additional complexity being forced into the process  
20 here. It's ostensibly a single-ballot format, and yet  
21 the voter is sometimes entitled to vote in any given  
22 contest and sometimes not. And my guess is that the

1 additional complexity of specifying this in the draft is  
2 probably not worth the cost. And if there's no comment  
3 on that, I will move it right along.

4 Closing polls. I'm just going to mention here some  
5 issues having to do with early voting that were  
6 discussed. One of the things that was brought up with  
7 the previous standards was how do we support early  
8 voting. The standard says nothing about early voting.  
9 Well discussions about early voting have clarified that  
10 there is a clear distinction between suspension of  
11 voting and resuming voting, and opening and closing  
12 polls. And therefore the Closing Poll Section does not  
13 deal with early voting. Along the way of discovering  
14 this, it came out that some of the old requirements were  
15 perhaps a little bit too loose. They said the system  
16 shall permit unauthorized -- or shall prohibit  
17 unauthorized reopening of the polls and prohibit  
18 unauthorized early reporting. All the feedback we  
19 received said this should never be authorized, so those  
20 requirements have been adjusted simply to say, the  
21 system shall prohibit reopening the polls or early  
22 reporting.

1           A lot of the rest of what came out with respect to  
2 early voting was procedural and having to do with ballot  
3 accounting. At the end of the day you should make note  
4 of the ballot counter and make sure that the next it  
5 hasn't changed. And to whatever extent that, whatever  
6 is agreed with respect to the disposition of procedural  
7 requirements, those recommendations will be disposed in  
8 that manner.

9           Counting Section. Counting Section has five  
10 subdivisions. One is again about voting variations as  
11 timed from the tabulation perspective. Section about  
12 ballot separation and rejection, separation has to do  
13 with the requirements in some systems to, for example,  
14 separate ballots that contain write-ins on the  
15 assumption that they're going to require a manual  
16 counting later to find out who the write-ins were.  
17 Rejection has to do with what some people refer to as a  
18 second-chance voting. Rejection is not forever.  
19 Rejection is this action that the system performs when  
20 it's presented with a ballot that has some problem, such  
21 as over voting. It kicks the ballot back out to the  
22 voter in their precinct count environment, explains what

1 they did wrong, and gives them a chance to fix it or to  
2 submit the ballot as is.

3 Paper jams, pretty self explanatory. The major  
4 clarification here is that the system shall make it  
5 blatantly clear when a ballot jams in the reader,  
6 whether or not that ballot was counted. So that the  
7 election judge who's clearing that jam knows what to do  
8 with that ballot.

9 Accuracy builds on the general counting accuracy  
10 requirement by going into detail about some optical scan  
11 issues with manually marked paper ballots that I'm going  
12 to talk about some more. And finally there's some  
13 requirements on consolidation, chiefly about the time  
14 requirement for DREs.

15 With respect to ballot separation and rejection,  
16 the requirement to separate write-ins may be showing its  
17 age a little bit, because if you're using an  
18 electronically-assisted ballot marker it's entirely  
19 feasible that these devices could encode in machine-  
20 readable form the name of the write-in candidate that  
21 the voter has provided. So in such systems, it's  
22 completely unnecessary to separate write-in ballots that



1 can be tabulated along with the rest. So there's been  
2 initial adjustment made to the requirements, and that  
3 will probably be fine tuned later.

4 MR. CRAFT: Okay. I don't think an electronic  
5 ballot marker would ever be separating out write-ins,  
6 because after the ballot is marked it's taken to a  
7 tabulator which then deals with that issue, however it  
8 deals with it.

9 DR. FLATER: Agreed. This is about tabulators.  
10 The requirements in the Counting Section are  
11 requirements on tabulators.

12 MR. CRAFT: It says EBM may encode write-ins in  
13 machine-readable form.

14 DR. FLATER: The intent was that the requirement on  
15 the tabulator to separate ballots containing write-ins  
16 may need to be adjusted in the context of a system that  
17 includes EBMS, because it may no longer be necessary to  
18 separate those ballots.

19 DR. SEMERJIAN: Let's go ahead with the  
20 presentation and then let's come back.

21 UNIDENTIFIED SPEAKER: Yes.

22 DR. FLATER: Okay, rejection behaviors. In the

1 2002 spec there was one set of language about rejecting  
2 blank ballots, and a slightly different set of language  
3 about rejecting ballots containing over votes and under  
4 votes, with the language saying that they election  
5 official shall be able to turn on or off these rejection  
6 behaviors. In the 2005 VVSG a set of requirements was  
7 duplicated in several places, saying that the system  
8 shall reject ballots containing over votes and under  
9 votes, and the language about election officials being  
10 able to turn it off disappeared. However there is one  
11 place remaining in the VVSG where it still has the old  
12 formula that the election officials can turn it on or  
13 off. In the draft I brought these requirements back  
14 together in one place. The requirement to be able to  
15 turn on or off these behaviors is retained and also  
16 clarified to address what sounds to be the most common  
17 practice, which is to reject ballots containing over  
18 votes and blank ballots, but not to reject ballots  
19 containing under votes. And the reason there is that  
20 80% of voters do not vote in the dog-catcher race and we  
21 do not want to reject all those ballots because it will  
22 cause a long line in the precinct.

1           Additionally there's been a couple of should  
2 requirements added for suggestions for future  
3 improvement. One is to reject ballots that are only  
4 blank on one side because apparently this is a common  
5 voter mistake on a two-sided ballot to fill out one side  
6 and not realize there's another one. And also to reject  
7 ballots containing marginal marks. Marginal marks are  
8 bad news in a mark-sense environment. We're going to  
9 talk some more about that. And if the system will  
10 reject ballots that contain really ambiguous marginal  
11 marks, it could go a long way towards preventing a lot  
12 of nasty problems that we'd rather not get into.

13           I have five minutes. I'm in big trouble. Okay,  
14 moving right along, what was the most important thing?  
15 I swore I would talk about the classes, so I'm going to  
16 have to spend at least three of my five minutes on that.  
17 We dealt with the marginal marks issue on optical  
18 scanners. The old standard said, you shall accurately  
19 read the vendor-specified mark and you shall ignore  
20 extraneous perforations, smudges, and folds. There was  
21 a lot of issues there. What we've got now is you shall  
22 accurately detect the vendor's mark. You shall also

1 accurately detect a standard mark which should not  
2 challenge any of the equipment that's out there now.  
3 It's just a benchmark to show that we have a large range  
4 of marks that can be reliably read. There's still  
5 issues with marginal marks.

6 UNIDENTIFIED SPEAKER: Mr. Chairman, J. R. is on  
7 the line.

8 DR. SEMERJIAN: Okay, J. R. Thank you.

9 DR. FLATER: I'm going to skip right forward to the  
10 classes.

11 UNIDENTIFIED SPEAKER: Before you leave --

12 DR. WILLIAMS: I have a comment on that. This is  
13 Britt Williams, and I'd like to call the committee's  
14 attention to page 102 in the Requirements Section that  
15 he's talking about. This morning Commissioner Davidson  
16 and Tom Wilkey, a boy who had idoled great American,  
17 they both talked about adding complexity and expense to  
18 the voting system unnecessarily. And Tom talked about  
19 complexity in terms of literacy. But I'd like to call  
20 your attention to 4.8-8 as an example of what they're  
21 talking about. The requirement C that a ballot scanner  
22 be able to provide feedback to the voter that identifies

1 specific contest or ballots when an over-voted ballot is  
2 rejected -- now that says over voted or under voted, but  
3 we're not going to return under voted. What's going to  
4 get returned is an over-voted ballot. There's not a  
5 ballot scanner currently in operation that has the  
6 ability to communicate like that with a voter. These  
7 things do not have screens on them, they do not have  
8 nice printers on them, and they cannot issue those kinds  
9 of instructions to the voters. So this requirement  
10 obsoletes every single optical scan voting scanner  
11 currently in operation.

12 DR. FLATER: This requirement is in HAVA.

13 UNIDENTIFIED SPEAKER: Say it again?

14 DR. FLATER: It's in HAVA.

15 DR. WILLIAMS: Well let me finish, and then we'll  
16 see, okay? So this adds considerable complexity and  
17 cost. Now --

18 DR. FLATER: It's also in the 2002.

19 DR. WILLIAMS: I understand that, but -- do you  
20 want me to just shut up? Is that what you're saying?

21 DR. SEMERJIAN: Please go ahead, Dr. Williams.

22 DR. WILLIAMS: The only people that this affects is

1 people who over vote a ballot and it gets returned to  
2 them. I'm the B.W. that commented at the bottom of the  
3 page. When a voter submits a ballot to a ballot  
4 scanner, they fully expect it to go through. But they  
5 do not deliberately submit bad ballots. And so when it  
6 comes back, it's a little bit startling and a surprise.  
7 And so who, what do you do here? What happens now is  
8 that the poll worker goes over and explains this to  
9 them. Now who benefits from this? Well, if your ballot  
10 is to be corrected, the only way you can correct it is  
11 to spoil that ballot and issue a new ballot. So the  
12 poll worker has got to get involved. So the only person  
13 that you could benefit from this by avoiding the poll  
14 worker is somebody who over votes a ballot, and when  
15 they're told they've over voted the ballot says what the  
16 heck, I'm going to cancel it anyway, going to go on and  
17 vote it anyway. So here's a requirement that adds  
18 considerable cost and complexity, and yet benefits only  
19 that miniscule number of voters that care so little  
20 about the process that they deliberately vote an over-  
21 voted ballot.

22 UNIDENTIFIED SPEAKER: I'm a little confused. I'm

1 thinking of a DRE voting machine.

2 UNIDENTIFIED SPEAKER: No, this is a scanner.

3 UNIDENTIFIED SPEAKER: Oh, it's just a scanner  
4 we're talking about? Well let's think of -- do we scan  
5 that immediately upon the -- we don't? We scan this  
6 ballot immediately upon --

7 UNIDENTIFIED SPEAKER: The voter scans it  
8 (indiscernible).

9 UNIDENTIFIED SPEAKER: The voter scans it. Okay.  
10 So I have a ballot now that's scanned and I can have a  
11 system to check whether there's a combination of dots in  
12 there that constitutes an over vote, or there's a  
13 combination of dots there that constitutes an under  
14 vote, namely some things that are not voted upon, at  
15 which case one can design that system to have it go back  
16 to the voter to determine if they want to continue on or  
17 not. I don't understand why you can't handle both.

18 UNIDENTIFIED SPEAKER: And that is what happens. I  
19 think what Britt is saying is that it can't tell you  
20 what the problem is.

21 DR. HARDING: The question is (indiscernible).

22 UNIDENTIFIED SPEAKER: It just sends it back and

1 says there's a problem. It doesn't say on race 5 you  
2 voted for two instead of three candidates.

3 MS. PURCELL: Mr. Chairman, Helen Purcell. It  
4 does, on the system that we use it does come back and  
5 tell you -- at least it tells the poll worker you have  
6 over voted in a specific race so you know where you have  
7 over voted.

8 DR. WILLIAMS. But this is a cryptic message. It's  
9 not one that the voter would understand.

10 MS. PURCELL: It's printed on a tape --

11 DR. WILLIAMS: Yes.

12 MS. PURCELL: -- very easily. And the inspector is  
13 instructed to show it to the voter as to what it says on  
14 that tape.

15 UNIDENTIFIED SPEAKER: It doesn't have to be  
16 cryptic.

17 DR. SEMERJIAN: Secretary Gale?

18 MR. GALE: Well in Nebraska we have quite a few  
19 counties that are smaller counties in terms of number of  
20 voters. And we've put in 100s, ES&SM (phonetic sp.)  
21 100s in those counties and they do have a message when  
22 the ballot is cast if there's -



1 (END OF AUDIOTAPE 3, SIDE A)

2 \* \* \* \* \*

3 (START OF AUDIOTAPE 3, SIDE B)

4 MR. GALE: -- State's race it will say too many  
5 votes in the Secretary of State's race. So you can  
6 accept or reject, so you do know why it's being  
7 rejected. Now you don't maybe know necessarily how to  
8 get help to get a new ballot, and that's where the poll  
9 worker would have to help. But you know why it came  
10 back at you.

11 MS. MILLER: It is -- I'm sorry, Alice Miller.  
12 It's obviously system specific. Ours just says over  
13 vote. It doesn't say where, doesn't say what race, it  
14 just says over-voted ballot.

15 MR. CRAFT: Mr. Chair, if I may?

16 DR. SEMERJIAN: Mr. Craft?

17 MR. CRAFT: This is a perfect example of what I was  
18 discussing earlier where it would be very helpful if  
19 instead of proposing a change to the standard, NIST  
20 brought to the committee an analysis of this issue and  
21 an analysis of how the existing voting system vendors  
22 are handling this for each currently certified system,

1 what the vendors have in the works for future versions  
2 on this, and then we could make an informed decision.  
3 It is these kinds of lapses that every time we try to  
4 run through this from a 30,000 foot ladder poll brings  
5 us down to two feet off the deck.

6 DR. SEMERJIAN: (Indiscernible) these are being  
7 brought to this committee. These are not finalized and  
8 I presume that the subcommittee members are  
9 participating in these discussions. Is that --

10 UNIDENTIFIED SPEAKER: I mean, to me this gets to a  
11 point that says the following. Up to now it seems like  
12 the vendors have been making decisions as upon how to  
13 treat these situations on their own. You buy it and you  
14 get with it whatever the vendor's decision is, as  
15 opposed to thoughtfully thinking out what you think the  
16 right answer ought to be and calling it in the  
17 specification. And it's true that there may be some  
18 equipment that doesn't handle it that way now, but if  
19 you don't address it appropriately now you're going to  
20 forever be in the situation where you're leaving it up  
21 to the vendor.

22 UNIDENTIFIED SPEAKER: Can I raise a clarification

1 at this point? This particular requirement that's  
2 causing so much consternation, this is not one that NIST  
3 introduced without consultation. Up on the screen there  
4 is the requirements that appear in the 2002 VSS. You  
5 will note that the language is very similar to the  
6 language that's causing problems now. The adjustments  
7 that were made were simply to make some of the words  
8 sound more like they do in HAVA.

9 DR. SEMERJIAN: This sounds like something that  
10 we're not going to resolve at this moment.

11 UNIDENTIFIED SPEAKER: No.

12 DR. SEMERJIAN: So I would recommend that we take  
13 that under advisement.

14 DR. WILLIAMS: I think we're missing the point  
15 here. I don't mean to nit-pick this specific issue.  
16 What I'm saying is that in all of our work we should be  
17 cognizant of what we're doing as it impacts cost and  
18 complexity of the voting system. Cost -- every  
19 election-related person on this panel and in the  
20 audience that's spoke to this issue has brought this up  
21 and pointed out that these things are bought by  
22 jurisdictions with very limited resources and operated

1 by people with very minimum training and so forth. So  
2 complexity and cost are big issues. And when we're  
3 talking about adding features to the voting system, we  
4 should do that complexity and cost analysis. And that's  
5 the point I'm trying to make, and I'm not sure we're  
6 doing that.

7 DR. SEMERJIAN: Mr. Karmol?

8 MR. KARMOL: Yes, Dave Karmol. Just as a point of  
9 clarification, when I look at the statute, 30113I, it  
10 says if the voter selects votes for more than one  
11 candidate for a single office, notify the voter that the  
12 voter has selected more than one candidate for a single  
13 office on the ballot. So it does require notification  
14 of an over vote. I don't see any place it requires  
15 notification of an under vote. So maybe you can --

16 DR. WILLIAMS: But it also doesn't require that the  
17 machine notify them either. It just says that it must  
18 be notified.

19 MR. CRAFT: Well it does say the voting system  
20 shall, so I don't know how --

21 DR. WILLIAMS: Okay, that's generic.

22 MR. CRAFT: It's however we define voting system.

1 DR. SEMERJIAN: Ms. Quesenbery?

2 MS. QUESENBERY: So just to add, I don't know what  
3 to this, we also started talking about a usability  
4 issue, which is what constitutes effective and adequate  
5 notification. Is it a strip of paper that the poll  
6 worker can read and show to them, is it a code which the  
7 poll worker has a translation sheet, is it a screen that  
8 pops up, is it a voice that booms out over the  
9 loudspeaker? I mean, obviously not, but I think one of  
10 the things that we might want to be really clear about,  
11 and this is good example of an intersection, is what do  
12 we mean by an adequate notification. And I think one of  
13 the questions that came up in one of the lunch  
14 discussions was, are we setting a minimum standard, an  
15 optimal standard, or a major standard. And it might be  
16 that we would say, it must do at least something. There  
17 must be something that notifies them, but that doesn't  
18 mean that a system might not get more elaborate and do  
19 something more fancy if they thought there was a market  
20 for that. So this is a good example where it's not just  
21 a requirements issue, but what is an acceptable way to  
22 implement the requirement that doesn't violate privacy,

1 that is usable for the poll worker, that is usable for  
2 the voter, and so on.

3 DR. SEMERJIAN: Okay, well clearly there is a topic  
4 here that needs further discussion and analysis. So I  
5 suggest NIST staff take that under advisement, and let's  
6 proceed with the presentation.

7 DR. FLATER: I'm going to take one minute to  
8 address a topic that I promised I would address, which  
9 was classes in the Conformance Clause. In the old  
10 standard there were categories of systems broadly  
11 speaking, paper-based, DRE, precinct count and central  
12 count. And these were described in the Conformance  
13 Clause of VVSG '05, and we talked about a similar  
14 concept profile at the September meeting.

15 There's a problem, which is that we now have  
16 systems out there in which they may contain DRE devices  
17 and paper-based devices side by side. The old standard  
18 just talks about paper-based systems and DREs. It  
19 doesn't really tell you what to do when you have a  
20 mixture of the two. So to resolve this we are getting  
21 additional precision in the Conformance Clause to define  
22 different types of voting devices, different types of

1 voting systems, and how you get from one to the other.  
2 And requirements are going to be scoped very precisely  
3 depending on what sort of devices, what sort of systems,  
4 and therefore this problem will go away.

5 End of presentation. Was that 70 seconds? Any  
6 questions? Am I done?

7 UNIDENTIFIED SPEAKER: Good afternoon, everyone.

8 DR. SEMERJIAN: Just a minute. Just a minute. Now  
9 we believe that the preceding preliminary reports of  
10 technical support titled Core Requirements and Testing  
11 Subcommittee preliminary reports for next VVSG iteration  
12 responds to TGDC resolutions 2405, 2505, 2705, 2905,  
13 3105, and 3205. My script reads, unless there are  
14 supplemental directions or corrections, the technical  
15 support and related work product will continue to be  
16 developed consistent with this preliminary report. But  
17 clearly there are some directions and perhaps  
18 corrections. Do we need any further discussion, or will  
19 we consider these taken under advisement, and that the  
20 subcommittee members will take the comments and the  
21 suggestions made under consideration for their future  
22 work? Mr. Craft, did you have a comment?

1           MR. CRAFT: Yes, Mr. Chair. I've got a bit of a  
2 concern about this perhaps on the peacemaker side. I  
3 mean, you've got some very talented payroll here on the  
4 front row who has brought us a pile of 400 pages  
5 representing the last several months of their lives, and  
6 who are sitting here today chasing at the bit to go  
7 forward to the next stage of their work. And I'm  
8 wondering I guess a question for staff is, do you feel  
9 you have sufficient direction from the committee and the  
10 discussion today to start moving forward, or does the  
11 fact that we've departed a little bit from the plan you  
12 brought in cause a problem we need to talk about before  
13 we get out of here today?

14           UNIDENTIFIED SPEAKER: There is enough discussion  
15 about just some of the points picked at random that it  
16 probably would be worthwhile having a more in-depth  
17 discussion, and not just necessarily of the Core  
18 Requirements and Testing Subcommittee, but, you know, to  
19 really satisfy people that they've had time to read  
20 this, digest it, and (indiscernible) for the points.

21           DR. SEMERJIAN: Mark, could we suggest that perhaps  
22 you have one of your committee meetings dedicated to



1 this particular topic, notify all members of TGDC and  
2 make sure that they have an opportunity to participate  
3 if they so choose, to clarify any issues and make sure  
4 that there is a consensus in the direction that we want  
5 to proceed? Is that a --

6 MR. GOLDFINE: By committee meetings I presume you  
7 mean CRT Subcommittee meeting?

8 DR. SEMERJIAN: Yes, well nominally but --

9 MR. GOLDFINE: But leave it open.

10 DR. SEMERJIAN: -- make sure that it's open to all  
11 members. Not open, but I mean they are specifically  
12 notified.

13 MR. GOLDFINE: To clarify, you didn't mean an  
14 upcoming TGDC planning meeting?

15 DR. SEMERJIAN: No, no, no. Obviously this is  
16 something that we need to address fairly quickly to make  
17 sure that everybody is notified and perhaps provide some  
18 flexibility in terms of the time and date of the meeting  
19 so that a significant number of TGDC members will have  
20 an opportunity to participate. And if not, they can  
21 perhaps provide some written comments or whatever.

22 MR. GOLDFINE: Or that might be even better. I

1 mean, if you gave everybody a chance to read it, provide  
2 some comments, and then give your team sufficient time  
3 to address those comments in terms of their response to  
4 it and we have a (indiscernible) we might be able to  
5 resolve this. And that way everybody will feel more  
6 comfortable that they at least have seen the rationale,  
7 been heard, what their concerns are, and it's either  
8 going to result in the same document or a modified  
9 document based upon how the outcome is. I mean, that  
10 would be my suggestion.

11 DR. SEMERJIAN: Is that --

12 UNIDENTIFIED SPEAKER: I think that's an excellent  
13 way to proceed.

14 UNIDENTIFIED SPEAKER: Yes, I mean I hear the  
15 frustration because the committee meetings go on week  
16 after week. But I think part of it is that this is such  
17 a big chunk to bite off that not only do you have a lot  
18 to read, but it's a lot to understand why each of it  
19 exists. Whereas you've been able to work on it over  
20 time in a very focused way, we're trying to absorb it,  
21 you know, through a giant water hose. And so if we  
22 could take any of the issues that are sort of big issues

1 and make sure that the committee knows we're looking at  
2 this now, and so if you want to read and comment on it,  
3 now's the time, as opposed to waiting until December or  
4 waiting until -- then maybe we'd get a little more  
5 response. Because I've heard some feedback that maybe  
6 we're not as responsive as we could be also.

7 DR. SEMERJIAN: All right, so what I'm hearing is  
8 clearly we've identified some issues of concern. You  
9 have an opportunity now that these have been brought up  
10 to the surface, TGDC members have an opportunity to  
11 study the detail in a little more detail, preferably  
12 provide some written comments that NIST staff can take  
13 under advisement, and then with some action items in  
14 mind on the part of NIST staff and some responses, let's  
15 say, to those suggestions, then a subcommittee meeting  
16 can be organized which would be made broadly open to all  
17 members of TGDC, and in fact make sure that you are all  
18 notified of the time and date and encourage your  
19 participation in that to make sure that your concerns  
20 are heard and addressed in this work product. Is that -  
21 -

22 UNIDENTIFIED SPEAKER: Yes, and one other thing

1 just for consideration is it was discussed earlier that  
2 we have, you know, we're lacking as much interaction as  
3 a group such as vendors. And many of the comments I'm  
4 hearing here are, you know, making assumptions as to  
5 what a vendor might or might not say about some of these  
6 things. And so I don't know how best to address that,  
7 but it might not be a bad idea to also get some early  
8 vetting of that here, and we can discuss that as well.  
9 I know it adds time, but it produces a document that has  
10 been more thoroughly tested.

11 DR. SEMERJIAN: Well the reason these meetings are  
12 open is to give an opportunity for vendors to provide  
13 comments in writing. And that could be at any time but  
14 not -- perhaps the vendor can be notified of the date of  
15 the meeting so that, not to participate necessarily but  
16 to make sure that their input is submitted in time for  
17 consideration at that meeting. Is that a reasonable  
18 approach?

19 MR. CRAFT: I think that misses the mark. I mean,  
20 the mark that I'm after is, number one, getting the  
21 vendors involved earlier so that when NIST staff brings  
22 us the idea or the problem, we have the vendors' input

1 in that already. As far as the vendors having access to  
2 the public meeting, no, the vendors really don't have an  
3 opportunity in this current format to weigh in and give  
4 this group information if we're discussing something  
5 like we were a few minutes ago as to how the various  
6 systems notify a voter of over votes. There are people  
7 in this room who can tell us exactly how all the systems  
8 do that and we could make a decision and move on. But  
9 it's not a public meeting and they can't speak. So if  
10 we're going to do that format, then NIST needs to have  
11 proper conversations with them, involve them in the  
12 subcommittee meetings, and get some information before  
13 the committee. If you don't want to go that route, then  
14 you're going to have to change the structure of this  
15 committee so that during our meetings we can take  
16 appropriate testimony from knowledgeable individuals to  
17 support our decisions.

18 DR. SEMERJIAN: Mark, would you like to comment on  
19 that?

20 MR. GOLDFINE: Yes, please. There are a couple of  
21 issues here. As far as getting the vendors involved,  
22 that's something as I said when I stood up there that

1 we're really trying to do the best way we possibly can.  
2 I think the idea of having the vendors participate in  
3 subcommittee meetings, I think that probably is not  
4 allowed under the TGDC structure. The meetings and the  
5 subcommittee meetings are for TGDC members. The public  
6 can view but they cannot speak and participate. And I  
7 don't think we could give one group that opportunity  
8 without making the whole public, give them the same  
9 opportunity. And that would be chaos, and I believe it  
10 would violate the TGDC rules. I think we try to get  
11 vendor input as much as we can. We put things on the  
12 website, we call them up with questions. I think Dr.  
13 Semerjian's idea of basically asking a question of a  
14 vendor that concentrates on a single point I think would  
15 be very useful, because it would have them focus on  
16 specific issues that they would be concerned with and we  
17 could get in put. Just having a document out there and  
18 say, please give us input, maybe it works to some degree  
19 but obviously everyone has limited time. So I certainly  
20 second Dr. Semerjian's idea of vetting this as much as  
21 possible, getting all the issues out on the table,  
22 publishing what we know, and asking the vendors to

1 provide information so we could then discuss that at a  
2 subsequent subcommittee meeting. I think that's the  
3 only legal and useful way to proceed.

4 DR. SEMERJIAN: I think in the development of VVSG  
5 2005 we were under a lot of time pressure and, you know,  
6 we couldn't afford to take long periods of time, etc. I  
7 mean, everybody knows how it worked. I think this year  
8 perhaps we can be a little more flexible and solicit  
9 more proactively, not simply putting something on the  
10 web pages and say, anybody who's interested, send us  
11 your comments. That maybe in fact specific topics that  
12 may be discussed at some subcommittee meetings could be  
13 advertised so that the vendor community can be aware of  
14 that specific interest, get their input in time, not the  
15 day after the meeting, so that we could be more  
16 proactive in soliciting input and participation by the  
17 vendor community. I think I see no reason why we can't  
18 do that. Is that -- yes, Mr. Berger?

19 MR. BERGER: I've been reflecting what I've seen  
20 take place in other processes. And I observe that in  
21 the IEEE operating under ANSI rules -- and Dave Karmol  
22 may wish to make some comment -- on documents of this

1 complexity, actually any final document, almost always  
2 it's put out for written ballot with specific comments  
3 supporting whatever the ballot is. What that allows for  
4 is compilation of the comments from the different  
5 balloters, and then in the in-person meetings really  
6 focus on the items where clearly there's concern, and  
7 especially if there's conflicting comments. What that  
8 also allows, and this happens quite frequently, is those  
9 who may not be qualified to vote can submit comments.  
10 And those can be compiled either together or separately.  
11 It's not easy, but it tends to work through the process  
12 pretty well. It also allows, and I would observe in the  
13 makeup of this committee, there's certain organizations  
14 named, it allows distribution of documents throughout  
15 the organization. So you really get the collective  
16 input of the organizational membership as opposed to the  
17 individual who's here on a specific (indiscernible). So  
18 I'd throw out we may want to consider written ballots on  
19 documents of this complexity prior to our meeting, and  
20 then focus our meeting on the issues where comments are  
21 grouped.

22 DR. SEMERJIAN: I don't quite understand the



1 concept of a written ballot. And these are guidelines  
2 that we're developing for recommendation to the EAC.  
3 And we don't have a broad membership like ANSI or ASTM  
4 or IEEE. I mean, this is basically it. This is the  
5 group that makes the final decisions. So could you  
6 clarify or, you know (indiscernible)?

7 MR. BERGER: Let me give just an example then. I  
8 participated in the National Academy of Engineering and  
9 National Academy of Science, reports that have been  
10 provided, we were then asked to develop. And we do  
11 provide the first draft, but after we provide the first  
12 draft before it's ever release it does go out for  
13 outsider view and comments. We get back to comments and  
14 I'm stuck reading it (indiscernible) their office and  
15 responding back. We don't necessarily have to accept  
16 every comment, but we have to consider it, give some  
17 weight to it, provide some rationale, respond back. And  
18 it does provide a stronger document, one of which you  
19 were pretty much prepared for what kinds of comments  
20 you're going to get back because you could see them and  
21 address them.

22 DR. SEMERJIAN: Yes, but I mean aren't we having

1 that process? I mean, that's why it took us, you know,  
2 seven months to get from the final draft form to the  
3 actual release of the standards, the guidelines.

4 UNIDENTIFIED SPEAKER: Yes, that's just what I was  
5 going to say. Exactly what we're describing now is the  
6 public review process that the EAC put forward after we  
7 give them our recommended draft guidelines or standard.  
8 And to impose a similar process on this body, yes, you'd  
9 get more input but the delay would be dramatic. And we  
10 are talking about draft standards and sometimes very  
11 informal stages. I think if they introduced that type  
12 of process on this body would just kill any schedule we  
13 possibly have right now. And I think the public review  
14 that the EAC conducts works very well to actually take  
15 care of the issues that I think you're just describing.

16 DR. HARDING: Mr. Chairman?

17 DR. SEMERJIAN: Yes, Mr. Harding?

18 DR. HARDING: Yes, sir, I think we need to move on.  
19 But in the (indiscernible) of moving on, that was a very  
20 good job of having what we would call advisory group  
21 (indiscernible) and the subsequent (indiscernible) we  
22 alternate national volunteer standards. So

1 (indiscernible) participate in a standard, they very  
2 much need to feel like they've participated in the  
3 development of that standard and not have it turned out  
4 wrong. And maybe we could have advisory groups to each  
5 of our three working committees in which a member of  
6 that advisory group that is (indiscernible) working  
7 committee make sort of a work product and a draft  
8 (indiscernible) and we have the value of that input.  
9 And I agree with (indiscernible) there's advisory groups  
10 for subcommittees.

11 DR. SEMERJIAN: Thank you. Mr. Berger?

12 MR. BERGER: Yes, I would like to report to the  
13 committee in the interest of its information, but also  
14 because I think it's a good process. Specifically on  
15 the EMC requirements, two weeks ago there was a meeting  
16 of the IEEE EMC Society Standards Development Committee.  
17 And the staff of NIST afforded me the opportunity to  
18 take those requirements there, and that committee is in  
19 process of preparing response comments, and Alan  
20 Goldfine is setting up a meeting to receive those. I  
21 think that's healthy. Those are specialists in that  
22 area and they're making sure that the requirements are

1 in the best current thinking of that field. And I think  
2 I both agree and disagree with Dr. Skall's comments. We  
3 have to watch what we do to the timing of the process.  
4 However I think especially as we get towards the end of  
5 final decisions, being a little more deliberate and  
6 inviting of detailed comments is probably well advised  
7 in the long run. And I guess I'm not as convinced that  
8 the public comment process is as efficient at that as  
9 necessary.

10 DR. SEMERJIAN: Well let me just remind you that  
11 there are big, thick copies of all the documentation  
12 that's being discussed here outside for public  
13 consumption. So, I mean, we are to my knowledge sharing  
14 all the information, interim information that's been  
15 developed with whoever is interested in showing up here  
16 as well as obviously on our website. Dr. Williams?

17 DR. WILLIAMS: Yes, when we were developing the  
18 first set of standards, we were working under incredible  
19 time constraints. And so I was willing to accept this  
20 glow-in-the-dark-kind of approach to things, where we  
21 came up here and we got four inches of paper that we'd  
22 only seen for two or three days. We're still operating

1 in that mode, yet we don't have those time constraints  
2 anymore. Why can't we take more time and spend more  
3 time, give us more time to review these things, more  
4 time to formulate intelligent responses to them, instead  
5 of this, run up here and grab a four-inch thick document  
6 and then shoot from the hip?

7 DR. SEMERJIAN: Well let me ask you then, how long  
8 would it take, how far in advance do you think we should  
9 send that material, and that you would promise me to  
10 read those before the meeting?

11 DR. WILLIAMS: Well, I'm not going to promise you  
12 that I'll respond to the entire document, but I'll at  
13 least read the entire document and select those areas  
14 that I feel like I can make a contribution to.

15 DR. SEMERJIAN: No, that's what I mean.

16 DR. WILLIAMS: I don't even have time to read this  
17 document.

18 UNIDENTIFIED SPEAKER: Dr. Semerjian, could I  
19 respond quickly? I mean, one of the things that we've  
20 tried to do is make the material on a web page and make  
21 it available all the time. And we want to do more there  
22 as well. We want to go beyond that and basically

1 publicize the telecons to all the subcommittees and  
2 better identify issues contained in a bigger overview.  
3 But what I'm hearing, we keep coming back in circles to  
4 this one issue, which is how does the TGDC digest all  
5 the material, and how do we all move forward in an  
6 orderly fashion. And I don't think we're going to solve  
7 that today, but I do think NIST and the TGDC need to  
8 discuss this and agree upon methods we can take to move  
9 things more forward. Now we put things out on websites  
10 and we've done a better job of identifying issues and  
11 getting agendas out. And it has worked in some cases, it  
12 hasn't worked in other cases, but that was something we  
13 tried. But I think we need to talk, we need to do a  
14 separate informal telecon, or do some e-mail or whatever  
15 after the meeting and really get past this issue,  
16 because I don't think we'll really settle it right here.

17 MR. CRAFT: If I may, Mr. Chairman?

18 DR. SEMERJIAN: Yes, Mr. Craft.

19 MR. CRAFT: I think, John, the answer to how we get  
20 past this is, number one, within this 400 pages there  
21 are not that many issues. We shouldn't be hit with 400  
22 pages and have to sort through the 400 pages, or the

1 part of those 400 pages that rise to the level requiring  
2 a decision of this board. We should have confidence  
3 that our past directives to NIST are being followed. We  
4 should have a good feeling about how those are going.  
5 We should have new issues where NIST needs direction  
6 brought to us, and we should be briefed with appropriate  
7 research to make informed decisions about those issues.  
8 Those are the things. I think we have beat this horse  
9 just about to death today. This committee doesn't feel  
10 that it's getting, and no, there's nobody up here who  
11 can afford to read a 400 page document slowly enough to  
12 comprehend it, to look at all the issues, to define  
13 terms, look beyond it to the research behind it. We  
14 have other jobs. I think in working with the committee,  
15 the research staff at NIST is going to have to do a  
16 little better job of giving the committee the feeling  
17 that our previous motions have been carried forward, an  
18 understanding of how those are going, and then an  
19 understanding of the actual issues coming before us.  
20 And to have an issue before us where nobody in the room  
21 who knows about the facts behind the issue is allowed to  
22 speak about it, that kind of format simply isn't going

1 to work.

2 DR. SEMERJIAN: Well we have to take a break. We  
3 still have two more presentations. Perhaps the  
4 presenters will take into consideration the comment just  
5 made, and rather than covering all the material in your  
6 presentation perhaps you can try to focus on more  
7 controversial, or issues that have not been addressed  
8 before.

9 UNIDENTIFIED SPEAKER: I can say that for the HFP  
10 presentation that's coming up, we have no new standard  
11 sections to propose at all. We're simply reporting on  
12 ongoing research and the progress of that work.

13 DR. SEMERJIAN: Okay. I guess that will be a short  
14 presentation then. Okay, we do need to make a decision  
15 whether we are accepting the report as made with the  
16 suggestions or the modifications made. But we have to  
17 get a feel from this committee whether the reported work  
18 is on track or -- I hope we're not off track, but  
19 clearly there are some issues that are not being --

20 UNIDENTIFIED SPEAKER: (Indiscernible.)

21 DR. SEMERJIAN: Right.

22 UNIDENTIFIED SPEAKER: I move we accept the report



1 on Core Requirements as written.

2 DR. SEMERJIAN: Do we have a second?

3 UNIDENTIFIED SPEAKER: Second. Second.

4 DR. SEMERJIAN: Any further discussions? I think  
5 we discussed it. All those in favor?

6 UNIDENTIFIED SPEAKERS: Aye.

7 DR. SEMERJIAN: Any opposed?

8 (No audible response.)

9 DR. SEMERJIAN: Thank you. The report is accepted  
10 as written. We'll take a 15-minute break, and then  
11 please don't go too far so that we can get started  
12 immediately if we expect to finish up our work today.  
13 Thank you.

14 (Break.)

15 (END OF AUDIOTAPE 3, SIDE B)

16 \* \* \* \* \*

17 (START OF AUDIOTAPE 4, SIDE A)

18 DR. SEMERJIAN: Can everyone take their seats  
19 please, so that we can start? I think we're missing a  
20 couple of TGDC members, but we're running very late. So  
21 I think we'll get started.

22 DR. LASKOWSKI: Well good afternoon. I think I

1 have about seven minutes to talk, but no worries. It's  
2 a top-down presentation so I think the key here as you  
3 listen to the talk is to note that these are progress  
4 reports. There are no draft standards guidelines here.  
5 It's a report on the progress on the research, and if  
6 you recall that for the VVSG '05 we did a lot of new  
7 requirements. So now we're switching into the research  
8 gear for the next set of requirements.

9       At our last meeting, this is aside from the last  
10 meeting in fact, you heard about the research underway  
11 that these all address directly the resolutions. And I  
12 unfortunately stripped off the references to the  
13 resolutions for this talk to make the slide less busy.  
14 But last time they were all in there. And in particular  
15 today I'm reporting on progress on the usability  
16 performance requirements, the testing with actual voters  
17 as a conformance test, and how to define a benchmark,  
18 also some preliminary research we did on plain language  
19 guidance for ballots, instructions, and error messages.  
20 I'm not going to talk today about the guidance for  
21 ballot design and interaction design. This is some very  
22 preliminary work we're doing with Design for Democracy

1 and it's not yet ready for prime time.

2       The usability standard is kind of pervasive in what  
3 we do. We've been looking over the outlines and  
4 different restructuring of the VVSG, and that's  
5 something we just do on an ongoing basis. And we will  
6 continue to look at refining the accessibility  
7 guidelines, and then of course work on test methods. I  
8 will talk about on my last slide some specific issues  
9 that have arisen that we will be looking at. So in the  
10 documents that are in your packet there is an overview  
11 of the research methodology for the performance  
12 benchmarks. It's rather dense, so if you look at the  
13 headings you can get a notion of the issues. And  
14 there's also a short paper on what makes for a good  
15 metric, because we're going to be measuring as we  
16 collect data. And how do we measure usability. That's  
17 a pretty short document. And the plain language  
18 guidance is 20 guidelines in a 40-page, not very dense  
19 report written by Ginny Reddish (phonetic sp.), who's  
20 one of the world's experts on plain language. So it's  
21 written in plain language as well.

22       So in order to kind of give you an overview or some

1 intuition into what a usability conformance test would  
2 look like, I kind of scripted out what it might look  
3 like. So the voting system test laboratory brings in,  
4 recruits some voters according to demographics that have  
5 been specified very carefully. And they've set up  
6 voting equipment according to the test specs with a test  
7 ballot or ballots, again predetermined for that test.  
8 The voters are brought into the lab, they're given  
9 precise instructions on how to vote their ballot choices  
10 according to a test script, and the people administering  
11 the test follow a script in how to introduce this. The  
12 voters cast their ballot, being observed by the testers  
13 and their errors and time recorded. They possibly might  
14 fill out a satisfaction questionnaire. We're not sure  
15 that's going to be one of our final metrics, but we are  
16 collecting some data in our experiments because that  
17 could be rather subjective. And then we figure out some  
18 error rates based on the metrics and the time, and we  
19 compare them against some benchmark. Now we're going to  
20 have to figure out what that benchmark is, so we're  
21 doing this summer some pilot testing of the concept, and  
22 also to give us some idea of where these benchmarks

1 might lie. The voting clinic fails or passes the test.

2       And this slide really actually is for the usability  
3 professionals community, usability engineers, because I  
4 want to just make a point here that we're doing a  
5 usability conformance test to a benchmark, and this is  
6 different than what usability engineers are used to  
7 seeing. They see formative or summative testing where  
8 they're improving the design. We're doing something  
9 somewhat different.

10       And there's a number of steps that we're going to  
11 be doing in order to design experiments to test our test  
12 protocol, etc. I'm not going to go over the details  
13 here, but there's a lot of iteration that we're going to  
14 have to be doing.

15       You should note that we're testing the protocol.  
16 We're going to bring in and probably iterate, but  
17 initially at least around 30 to 50 participants, and  
18 we're going to test all our protocols, our scripts. And  
19 we're going to use a similar population because we want  
20 to see if we can get reliability, because we're  
21 validating our test protocol, and actually in this  
22 initial test just validating that we've got the right

1 concept, that this is going to work.

2 So that's all I'm going to say about the usability  
3 conformance testing. This would be a good time to ask  
4 any question or clarification that you might need. And  
5 I'd certainly be happy to, you know, the HFP  
6 Subcommittee, etc., we take any questions you have later  
7 on and be happy to talk to you about it.

8 DR. HARDING: Sharon?

9 DR. LASKOWSKI: Yes?

10 DR. HARDING: Yes, Sharon, thank you. First --  
11 this is J. R. First I would like to say thank you.  
12 This is really good. Second is specifically my question  
13 on page number 3, you mention bringing the voter into  
14 the lab. Labs generally are sterile environments. Is  
15 there any reason why we can't make mock voting  
16 (indiscernible) things or, you know, doing the  
17 experiment in the church or the not-for-profit  
18 (indiscernible)?

19 DR. LASKOWSKI: There's two points here. One, this  
20 is a conformance test of the equipment. So we have to  
21 control all the variables. So yes, it must be tested in  
22 the lab for that reason. But I suspect you're alluding

1 to the fact that there are other issues in deployment  
2 and accessibility issues when you do testing. For this  
3 initial test, we're just looking at usability of the  
4 system that is not designated as accessible. Follow-on  
5 work, which I will allude to on my last slide, is really  
6 looking at special requirements for developing the  
7 conformance test for accessibility. And then you're  
8 absolutely right, we have to look at some other  
9 environmental factors as well.

10 MS. QUESENBERY: J. R., this is Whitney. I would  
11 add lab is a term of art, and it just means the place  
12 you're doing the testing. It does not mean a place with  
13 people in white coats and sterile environment. It could  
14 easily be the lab could be a church rec room or some  
15 other appropriate facility that's easy for the community  
16 population (indiscernible).

17 DR. LASKOWSKI: But we have to -- conformance says  
18 we have to control the environment, so in some sense it  
19 is a sterile lab.

20 MS. QUESENBERY: Correct.

21 DR. LASKOWSKI: And if it's the church basement, it  
22 has to be the church basement mock up every time across

1 different equipment.

2 DR. SEMERJIAN: Would the term controlled  
3 environment be more acceptable?

4 DR. HARDING: Yes.

5 DR. SEMERJIAN: I mean, I think perhaps people have  
6 a perception of a laboratory, like a chemistry lab.

7 DR. LASKOWSKI: Yes. This is a testing lab,  
8 whatever it looks like.

9 DR. SEMERJIAN: Yes.

10 DR. LASKOWSKI: We will specify what the  
11 environmental conditions are very precisely in terms of  
12 lighting, etc.

13 MS. QUESENBERRY: The other point that Dr. Laskowski  
14 made that we shouldn't sort of slide over is that the  
15 point of this in the -- this is the development of a  
16 test method, so we're really looking forward to volume  
17 2. But the point of this is that it be a repeatable  
18 test, that anybody following the test protocol properly  
19 with any piece of equipment should get repeatable  
20 results. So there are, as she said, a lot of issues  
21 about how do you constrain that test.

22 DR. LASKOWSKI: Yes, we have to constrain because



1 we have to validate it that we get reliable results, so  
2 that the test is fair across voting equipment.

3 DR. SEMERJIAN: Let me --

4 MR. CRAFT: Well, I guess I've got a question then.

5 DR. SEMERJIAN: Let me just follow my script. Let  
6 me point out that this report responds and the work  
7 carried out responds to TGDC resolutions 205, 305, 405,  
8 505, 605, 805 -- I guess I don't have to do this next  
9 time if we have the matrix.

10 MR. CRAFT: Right.

11 DR. SEMERJIAN: 905, 1005, and 1105. So unless  
12 there are supplemental directions or corrections, the  
13 technical support and related work product will continue  
14 to be developed consistent with this preliminary report.  
15 So are there any questions? I guess there are. Mr.  
16 Craft?

17 MR. CRAFT: Yes. Dr. Laskowski, a big element in  
18 the usability of the system is the instructions given to  
19 the voter by the polling place worker. And I think a key  
20 element of the usability is how well the voter can use  
21 the system in spite of fairly poor inconsistent  
22 instructions. So is that going to be another dimension?

1 DR. LASKOWSKI: Well we do have another resolution  
2 that talks about polling place, etc. We are going to  
3 script out, you know, typical instructions but not poor  
4 instructions because we're doing very sparse  
5 instructions --

6 MR. CRAFT: Yes.

7 DR. LASKOWSKI: -- and unassisted voting, because  
8 we're trying to capture the usability of that equipment.  
9 Now you're right. In terms of deployment it could  
10 really muck up the usability. You can't test that in  
11 the test lab on the equipment, which is why we want to  
12 make sure that we refer to other supplemental guidance  
13 for poll worker training, etc., and point that out  
14 clearly and document that elsewhere.

15 MR. CRAFT: But kind of another metric of the  
16 usability is --

17 DR. LASKOWSKI: But otherwise we're introducing so  
18 many different variables that we won't get a really get  
19 a good, reliable, valid measure of the usability of the  
20 system (indiscernible).

21 MR. CRAFT: Okay. Well that's why I was wondering  
22 if there was going to be perhaps another dimension to

1 this.

2 DR. LASKOWSKI: Not for the conformance test  
3 itself.

4 MR. CRAFT: Okay.

5 DR. LASKOWSKI: But I can certainly see for follow-  
6 on work. And we do have another resolution that talks  
7 about these other issues of deployment.

8 MR. CRAFT: Okay.

9 DR. SEMERJIAN: Ms. Quesenbery?

10 MS. QUESENBERY: (Indiscernible) I know that you  
11 probably haven't read the 30-page report that this is  
12 the two-minute summary of. There's a lot of good detail  
13 in there. We'll let you know when the next HFP meeting  
14 is and invite more detailed discussion then.

15 DR. LASKOWSKI: And we are hypothesizing that this  
16 will work. I suspect we're going to make some  
17 modifications. As the research proceeds it will be  
18 iterated a little bit.

19 DR. HARDING: Mr. Chairman, I would move acceptance  
20 of the Human Factors and Privacy progress report.

21 DR. LASKOWSKI: Not quite --

22 DR. SEMERJIAN: Thank you.

1 DR. LASKOWSKI: Not quite done. Two more points.  
2 But thanks for the vote of confidence.

3 DR. SEMERJIAN: I guess J. R. was trying to  
4 accelerate things.

5 DR. LASKOWSKI: I got the message. Okay, the other  
6 report we had was a report, a study that Ginny Reddish  
7 did for us. And basically we know that a clear,  
8 easy-to-understand ballot and interaction instructions  
9 are important parts of the voting process. If the  
10 voters can't understand how to use their voting  
11 materials, chances are they may not be successful in  
12 voting. Let me also make the following point, that  
13 everyone benefits from clear instruction. We know that  
14 the cognitive skills of voters vary widely. We've got  
15 an aging voter population. We've got tired voters who  
16 come in after a day of work. We've got a whole array of  
17 different cognitive disabilities. When you explain  
18 things as clearly and simply and directly as possible,  
19 you minimize mistakes, you make things clearer. And let  
20 me also note that a lot of these populations are not  
21 going over to the accessible voting machine. My parents  
22 certainly won't. They're aging, but they don't need

1 help. And sometimes I come in tired and I get confused  
2 easily from instructions all the time. But I don't need  
3 an accessible voting station. I need clear language.  
4 And so I think this is also responding to the fact that  
5 there are people with a whole range of cognitive  
6 disabilities that we need to design for, and I believe  
7 that this will capture a large number of those people.  
8 Clear instructions. Let me also note that poll workers  
9 also benefit from clear instruction material. We're not  
10 focusing on that right now.

11 DR. HARDING: Well now, Sharon and Mr. Chairman,  
12 one more question on that.

13 DR. SEMERJIAN: Go ahead, Mr. Harding.

14 DR. HARDING: Sharon, would we have any picture  
15 kind of directions to compliment the written word to  
16 deal with the literacy and some of the cognitive issues  
17 you alluded to?

18 DR. LASKOWSKI: That's another research issue.  
19 Once you start introducing icons and pictures, there's a  
20 lot of, some research that needs to be done because of  
21 introducing bias. If you introduce pictures, do you  
22 introduce pictures for all the instructions and

1 navigation as well as, say, the candidates? There's a  
2 lot of issues there. This focuses only on the language.  
3 That's another research topic. That's sort of on our  
4 list, further down our list of priorities.

5 DR. HARDING: Thank you.

6 DR. LASKOWSKI: We're trying to get the biggest  
7 coverage possible first, and then go down to, you know,  
8 further and further down into the population. So  
9 basically what we did was to look at lots of paper  
10 ballots and four DREs, and look at the ballots and the  
11 instructions and the messages to see if indeed there was  
12 room for improvement. And we found serious gaps. Based  
13 on that gap analysis -- there's some material in the  
14 viewgraphs that talk about that, and as I say I'm not  
15 going to talk about it here because I don't have time.  
16 But 20 guidelines were written just based on that gap  
17 analysis, no usability studies or testing. So for  
18 example, and it's based on best practices from other  
19 domains, one guideline is to put warnings about the  
20 consequences before, not after, the voter is likely to  
21 act. Now notice on a DRE, this is a testable guideline  
22 that could go into the VVSG. Some guidelines have to do

1 with paper-ballot instructions that are out of the scope  
2 per se. And I've got some examples here. Again I don't  
3 have time to go over them, but the examples go with each  
4 of the 20 guidelines so you can look at -- they're kind  
5 of fun to look at. Small improvements make big  
6 differences in clarity.

7       So what's missing from this preliminary report are  
8 a couple of things. First is which things are testable  
9 and could be developed further to go into the VVSG. And  
10 the second thing is that guidelines really need to be  
11 tested in the context of voters working with the ballots  
12 and equipment. What we've done so far is just on best  
13 practice and other domains. So in the next step we want  
14 to try to look at research and to, do voters actually  
15 read instructions on ballots and on the DREs. How does  
16 the organization of wording affect the reading behavior?  
17 What words do voters understand and which words confuse  
18 them. Do they understand cast a ballot? A contest, a  
19 race. Do they understand partisan, and how does that  
20 affect their voting success. So the next step is to do  
21 some research here to make sure that we've developed  
22 guidelines that indeed specifically work in the voting

1 arena.

2           So if there are any quick questions about this,  
3 I'll address them right now and then I'll wrap up with  
4 the future directions.

5           (No audible response.)

6           DR. LASKOWSKI: Okay. It doesn't look like any red  
7 lights are on. I'm going to continue. So we're going  
8 to continue our work in validating our usability test  
9 protocols and developing benchmarks. We're going to  
10 continue some research to extend the work we've done on  
11 guidelines for clear instructions. We're going to  
12 continue our work on looking at trying to develop  
13 guidelines for ballot design and interaction design that  
14 would go into the equipment standard. Always doing  
15 usability of the standard itself, and other specific  
16 issues as they arise. For example, these have arisen.

17           Of course we've got carry-over items from the  
18 public comments. We've got to go through those.  
19 There's also some issues about usability of some of the  
20 security approaches. And throughout some of the talks  
21 today you heard some elusions to, we've got to look at  
22 maybe this is a usability issue, we've got to look at



1 the usability perspective. And so as those are  
2 identified we'll look at them. I bring up vote by phone  
3 because I believe there's some guidance that could be  
4 put in the equipment standards that's specific for a  
5 vote by phone. For example, what's the best way, most  
6 usable way to time the audio interface, are there  
7 dexterity issues that could be addressed and improved  
8 with the vote by phone. And what about the control of  
9 the interaction? Is it done the simplest way possible?  
10 And there's a lot of research in the interactive voice  
11 recognition field that we might be able to pull up to  
12 use. There's still further dexterity issues about  
13 ballot submission (indiscernible) etc., so we'll  
14 continue to monitor that and address those points as  
15 they arise.

16 J. R. had a question about going into the polling  
17 location and other sorts of issues for usability  
18 testing, a lot of which have to do with accessibility  
19 testing. The usability tests we're talking about  
20 developing for the conformance doesn't look at, address  
21 usability testing for improved accessibility. That's  
22 because we need a slightly different version of the

1 tests because some of the equipment is different, the  
2 benchmarks are going to be different. If you've got,  
3 say, the audio interface, we know that's going to be  
4 slower. So what's an acceptable rate for that. So  
5 there's some specific issues. And also, how do you  
6 define the demographics for testing for classes of  
7 disabilities. So that's the next step.

8       And then just always looking for what can be moved  
9 from the accessible system requirements to general  
10 requirements. I know in the current version of the VVSG  
11 there were some font and color things that wound up in  
12 the accessibility section. And these I think could  
13 easily be moved into the general equipment section with  
14 really no cost to the vendors, or very little cost.  
15 Some of that is already addressed in fact on most of the  
16 DREs.

17       And that's the wrap-up of my talk. Any other  
18 questions or clarifications?

19       DR. SEMERJIAN: Any other questions or comments?

20       DR. HARDING: Again I would move acceptance of the  
21 report.

22       UNIDENTIFIED SPEAKER: Second.

1 DR. SEMERJIAN: We have a second? Any further  
2 discussion?

3 (No audible response.)

4 DR. SEMERJIAN: If not, all those in favor in  
5 adopting this preliminary report, say aye.

6 UNIDENTIFIED SPEAKERS: Aye.

7 DR. SEMERJIAN: Any opposed?

8 (No audible response.)

9 DR. SEMERJIAN: Unanimous. Thank you.

10 DR. LASKOWSKI: Thank you.

11 DR. SEMERJIAN: Thank you, Sharon. Okay, at this  
12 time I call on Dr. Hastings, Mr. John Kelsey, and Mr.  
13 John Wack of our Information Technology Laboratory to  
14 present the Security and Transparency Subcommittee  
15 reports for the next VVSG iterations. They promise it  
16 will be short, but no pressure.

17 UNIDENTIFIED SPEAKER: Okay. Good afternoon. I  
18 just want to first take a moment to acknowledge Quin  
19 Dang (phonetic sp.) and his support in helping to create  
20 the cryptography requirements as well as Angela Aura  
21 (phonetic sp.), who helped create the draft requirements  
22 for the access control. So basically I'm going to go

1 through very quickly some of the draft requirements that  
2 we've created in cryptography as well as access control,  
3 and then talk a little bit about some of the draft  
4 requirements that we're -- as we schedule the next areas  
5 in security.

6       Cryptography can support basic security services  
7 such as integrity, confidentiality, and authentication.  
8 And what we wanted to do was we wanted to consolidate  
9 general cryptography requirements in to one location.  
10 So if you go back and look at VVSG 2005, you see that  
11 there are cryptography requirements inside of set-up  
12 validation as well as in software distribution. So we  
13 wanted to consolidate those common requirements. This  
14 section doesn't talk to or set forth requirements  
15 related to voting protocols. Those will be developed  
16 under independent verification requirements. Some of  
17 the topics covered were that types of algorithms that  
18 can be used, both the symmetric key and the asymmetric  
19 key, the hash-out (phonetic sp.) rhythms that can be  
20 used, (indiscernible) authentication codes and how they  
21 can be used, validate a cryptographic module  
22 requirements. And I'll talk a little bit more about

1 that on the next slide. Security strengths of the  
2 cryptographic algorithms is discussed here. This is one  
3 area where it changes the security strengths of a given  
4 crypto algorithm and key length changes over time So  
5 what we've tried to do there is in the discussions  
6 sections provide links to NIST websites that are kept up  
7 to date with that information.

8 Key management requirements as well as some general  
9 application requirements. The first sample requirement  
10 basically says cryptographic operations will be  
11 performed in a (indiscernible) 140 validated  
12 cryptographic module. Many of the cryptography  
13 requirements can be used by using a validated  
14 cryptographic module. It leverages a well-established  
15 program here at NIST called the Cryptographic Module  
16 Validation Program, which has over 200 plus modules that  
17 could be used to be integrated into voting systems.

18 The next one is a requirement related to the Key  
19 Management Policy. It's a documentation requirement on  
20 the vendors. The vendors may make some assumptions about  
21 how key management is done, given their voting system.  
22 And so we wanted to capture that in some documentation.

1 This requirement also goes on to say that if you deviate  
2 from those suggested requirements, what hazards might  
3 occur, what risks arise. And so that's actually helpful  
4 I believe to the users of that equipment by providing  
5 them knowledge on, okay if this risk is going to occur I  
6 need to put in place certain policies and procedures to  
7 mitigate that risk.

8       The next one is a general requirement, usage  
9 requirement of cryptography basically saying that  
10 communications within the voting system should use  
11 cryptography to ensure confidentiality and integrity.  
12 There are two exceptions to that. One is when the  
13 communications channel is physically protected by the  
14 enclosure of the voting system, or if the integrity and  
15 confidentiality of that communication is shown not to  
16 affect the reliability and security of the voting  
17 system.

18       We'll continue to refine and develop these  
19 requirements based on comments we receive from you, from  
20 the TGDC, as well as the public. Right now there's an  
21 issue in terms of the way the requirements are written.  
22 It allows for general voting systems to export

1 cryptographic keys, which may be too liberal in losing  
2 control of cryptographic keys that need to be kept  
3 secret. So we're looking at that based on some feedback  
4 we've received.

5       The next section is access control requirements.  
6 What we wanted to do is we wanted to provide more  
7 specificity and broaden some of the aspects of access  
8 control. I believe it's in VVSG 2005, basically it  
9 talks about identifying people and applications to the  
10 voting system. We've gone ahead and actually expanded  
11 that a little bit to identify components. And later on  
12 you'll see systems and processes as well with respect to  
13 their role. So that's a little bit more specificity  
14 there.

15       We wanted to expand authentication techniques.  
16 Really if you go back and look at the IEEE standard as  
17 well as VVSG 2005, it's very password centric. It has  
18 requirements on password links and requirements for the  
19 use of dictionaries to protect weak passwords and those  
20 types of things. So we wanted to expand the techniques  
21 to allow for biometrics to be integrated into the  
22 system, our cryptographic techniques to be integrated

1 into the systems.

2 We also specified modes of operation in order to  
3 help limit access and functionality to the voting system  
4 in a given mode of operation. Physical and hardware  
5 access controls are not covered here but will be covered  
6 in the physical security section of the document.

7 Some of the topics covered of documentation -- not  
8 only documentation for the end user on how do I use  
9 these access control capabilities of the system, but  
10 also documentation requirements on how those were  
11 implemented so that that documentation can be provided  
12 to the testing labs. The security policy template, very  
13 similar to the model key management document discussed  
14 earlier. Identification, authentication, authorization,  
15 logging events that should be logged, access control  
16 requirements, and communications, which probably should  
17 be more of a remote access. So you may only want  
18 certain types of capabilities to be accessed remotely.

19 Some sample requirements here is the first one  
20 talks about modes of operations that have been defined  
21 in the document. There's a table I believe that defines  
22 what each one of these modes means. So you have pre-



1 voting, open, suspended, and post-voting. We've  
2 coordinated with the CRT folks in the state model that  
3 they've developed. And the second requirement basically  
4 says that you could apply different access controls for  
5 each of the modes. So in pre-voting you may want to be  
6 to -- the administrator should be able to upload about a  
7 definition file. However when the poll is open you  
8 probably don't want that capability or functionality  
9 to occur during the open, when people are casting  
10 ballots.

11       The next requirement, this is what I was talking  
12 about, expanding user systems and applications and  
13 processes, and identifying those. The second  
14 requirement talks about possible groups and roles within  
15 the voting system itself. So is the user a voter or is  
16 the user really a poll worker, or is the user the  
17 administrator. So we've defined several different roles  
18 here. We'd like your feedback on both the roles as well  
19 as the modes of operations. If we define too many, we  
20 haven't defined enough, we'd like your input back on  
21 that.

22       Again we'll continue to develop these and refine

1 these requirements based on your comments provided.  
2 We're doing some additional research to check how far we  
3 deviate from VVSG 2005 as well as the IEEE standard, as  
4 well as there is an ANSI standard, real base access  
5 control, and we need to research that and see how we can  
6 best leverage that standard for VVSG 2007.

7 The next graph, requirements that we're looking at,  
8 and this is subject to change, is event logging, system  
9 and event logging, communications, and software  
10 distributions. And we're looking to have some draft  
11 requirements in the June timeframe.

12 Other items that are still left on the table are  
13 software installation, setup validation, physical  
14 security, and those types of things. And at this point  
15 I'll open it for discussion.

16 DR. SEMERJIAN: For the sake of, since we're under  
17 such time pressure, why don't we go ahead with the three  
18 presentations and then open up for discussion?

19 MR. KELSEY: I'll try to run through this quickly.  
20 This is a talk on open-ended evaluation of voting  
21 systems. And I'm John Kelsey. So put this in  
22 perspective. About a year ago I gave a much less

1 specific talk on the same topic for you guys, and then I  
2 talked about what we were going to try to accomplish in  
3 this work. We made a little progress on this. There's  
4 still a lot to be done.

5       The history here is there's a TGDC resolution, 1705  
6 I believe, that told us to look at open-ended, you know,  
7 kind of add a significant amount of an open-ended search  
8 for vulnerabilities in the voting system evaluation.  
9 And so then what we've done since then is we've had this  
10 Preliminary Threats presentation and paper from last  
11 year and the Open-Ended Vulnerability Testing  
12 presentation last year that just outlined a very  
13 high-level idea of this. And we've been doing a lot of  
14 informal identification of threats, and then more  
15 recently we've done the NIST Threats to Voting Systems  
16 workshop, which I think was a great success, I hope. I  
17 thought so. I hope other people did. And we've been  
18 doing some work with the Brennan (phonetic sp.) Center  
19 on a more formal threat analysis. And all of this is  
20 kind of pushing toward the same goal of figuring out how  
21 to make voting systems stronger by knowing how to attack  
22 them.

1           So kind of in that context, what I'm going to do is  
2 I'm going to talk about what open-ended testing is and  
3 why we need it, kind of as a review, and I'm going to  
4 talk a little bit about how we plan to do it. I'll warn  
5 you that a lot of this is still up in the air. We're  
6 doing some things that haven't done on this scale  
7 before, and so we need to kind of go slowly and learn  
8 what we're doing as we write the standards, and then as  
9 we get operational experience with it. And I'm going to  
10 try to sprinkle this talk with technical questions and  
11 policy questions that we need to resolve. And these are  
12 questions I'm hoping that you guys can shine some light  
13 on.

14           So kind of at a high level, I'll define open-ended  
15 testing, kind of by contrast with what you normally do.  
16 The easy way, and kind of the stairway of trying to  
17 verify that something complies with the standard is sort  
18 of a checklist approach, okay, a smart checklist  
19 approach. But the question you're asking is, does the  
20 system conform to the standard, right? So what you want  
21 to do is you want to make sure that the voting system  
22 has the right kind of security controls, it has, you

1 know, you can't get in there and mess with the memory  
2 cards without breaking the lock or breaking the seal,  
3 stuff like that. And you want to make sure that those  
4 controls are configured correctly or installed  
5 correctly, you know, the lock really works, you can't  
6 pry open the door without opening a lock, something like  
7 that.

8       Open-ended testing is kind of different. With  
9 checklist testing you're really just going down a list  
10 and saying does this comply with the requirements, does  
11 this comply with the requirements. Open-ended testing  
12 is somebody actually trying to find a way to break the  
13 system, to find a way around the security controls. And  
14 so you're both looking for a basic design flaw that lets  
15 you break the thing, and also you're looking for ways to  
16 defeat a specific control. So this thing has this  
17 control it's supposed to have and it has this lock, but  
18 you can get around it somehow.

19       And so the analogy that I used in the report that I  
20 wrote and also that I've been using around everywhere  
21 is, you can have a policeman come out and check your  
22 home to see if it's secure. And he'll tell you this

1 door has a bad lock, you need a better lock. He does a  
2 checklist. Probably that policeman has never broken  
3 into any houses. You hope not, at least not for a  
4 living. But he has sort of a list of things that he  
5 knows that are potentially problems and he'll tell you  
6 what to fix. That's checklist testing. It's really  
7 valuable. Open-ended testing is like having a  
8 professional burglar come see if he can steal your TV.  
9 It's a pretty different approach. And the good thing  
10 about this is even if you do everything right on the  
11 checklist approach, sometimes there's still  
12 vulnerabilities that weren't addressed. There's still  
13 something that somebody can get around all of your  
14 defenses. The bad thing is the quality of open-ended  
15 evaluation is really heavily driven by the quality of  
16 your evaluator. Somebody really skilled will find flaws  
17 that just a normal person wouldn't find. And that's  
18 sort of the interesting intention here.

19       So there've been some examples of open-ended  
20 analysis of voting systems. The stuff at the top is  
21 conceptual analysis. The Harris Book from 1934 talks  
22 about some very broad threats to voting systems, the

1 NIST Voting Threats Workshop, some of that. And these  
2 are not exactly what we're talking about. This is just  
3 an idea where you look at voting systems in a very broad  
4 sense and say how would you attack them. More specific  
5 stuff, and we have only a few examples that are going to  
6 -- public and why be discussed, the Hopkins Report, SAIC  
7 report, some public attacks that are done partly for  
8 publicity and partly to show a real vulnerability, and  
9 then what I thought was probably the best example I  
10 could find, which was the Rabba (phonetic sp.) report.

11 I won't try to read this whole thing, but this is a  
12 quote from the Rabba report. I thought was probably the  
13 most professionally done of the open-ended analyses that  
14 I could find on a voting system. And they basically talk  
15 about a red team exercise. And kind of at a high level,  
16 the goal of a red team exercise is to set up a system in  
17 an environment where it looks very much like the one  
18 that it will be used in, and then see if you can find  
19 flaws in it, see if you can attack it. And the idea is  
20 you can attack the system, the evaluation team can try a  
21 lot of different attacks. They're not constrained. And  
22 if one of the attacks fails, they don't lose any points.

1 They just go and try the next one. And the hope is that  
2 you'll discover kind of a lot of potential  
3 vulnerabilities. So the interesting thing about the  
4 Rabba report if you look at it is they found a bunch of  
5 practical flaws on a particular voting system. And once  
6 you knew about the flaws, I think they were all pretty  
7 easy to fix. So you can see an example of something  
8 where you have this analysis, and you could mitigate  
9 some of these with procedures but you also could just  
10 fix the problem in the voting system. And so it seemed  
11 like a really valuable thing to be that you could look  
12 at this system and do this analysis, you'd come up with  
13 a list of potential attacks and then you could actually  
14 fix the problems. The next person to look at those who  
15 maybe is more hostile doesn't find those easy attacks.

16 So the kind of high-level idea here is something  
17 that in the big attack world or the computer security  
18 world people call low-hanging fruit. If we want to make  
19 the voting system stronger, what we want to do is we  
20 want to pick the low-hanging fruit. So we want to find  
21 the weaknesses in the voting system that are  
22 particularly easy to find, that can be found on a



1 reasonably low budget and with existing tools, and fix  
2 those. Now in a real-world computer system, something  
3 as complicated as a voting system, you'll never get rid  
4 of all the bugs, you'll never get rid of all the  
5 potential attacks. What you can do is you can make  
6 those attacks a lot harder. You can close the easy  
7 vulnerabilities, make somebody be a genius to break in  
8 instead of just a 14-year old hacker with time or  
9 something. And that's the goal you're trying to  
10 accomplish here.

11       So one of the places where we can make voting  
12 systems stronger is by fixing those weaknesses, those  
13 low-hanging fruit. The other place though is that  
14 preparing for a test can improve your design. We're  
15 going to have documentation requirements, and I'll talk  
16 about this, in the submission package that will, if you  
17 do the exercise necessary to write this documentation I  
18 think you'll understand your voting system a little  
19 better. And more to the point, you've described it to  
20 the evaluators so they can check your logic. The other  
21 thing though is that if you know your work is going to  
22 be checked out in this way, you're more careful, you

1 know. The goal is to have the voting system vendors try  
2 to attack their own systems, because they're going to  
3 know it better than the testing lab ever will. And  
4 there's an incentive for them to spend some significant  
5 resources internally to try to fix the vulnerabilities  
6 so that the testing lab won't find them, say well  
7 instead of having the testing lab reject our system and  
8 have to spend a bunch of money to fix it, let's just  
9 find those problems at first. That's the hope.

10       So that's kind of the broad justification for what  
11 we're hoping to accomplish. This is the sort of broad  
12 process. And unlike one of the other talks here, I  
13 actually don't have huge amounts of details. If we go  
14 down more than a couple of layers here, we get to places  
15 where we're going to have to do a lot more research to know  
16 exactly what this is going to look like. But the broad  
17 process -- I can go down a couple of layers at least --  
18 there's going to be some sort of agreement between the  
19 lab and the vendor on what I'll call rules of  
20 engagement, which basically means what qualifies as an  
21 attack.

22       UNIDENTIFIED SPEAKER: Push this a little toward

1 you so --

2 MR. KELSEY: Oh, not able to hear me? Okay. If  
3 you haven't heard anything I've said so far, that's  
4 probably going to be a really confusing talk.

5 So the rules of engagement, I'll talk about this in  
6 a second. Basically what qualifies as an attack, was  
7 the attacker allowed to try to break into the system.  
8 There's going to be documentation that's going to be  
9 submitted, and that will give the evaluator a chance to  
10 quickly look at the system and see if there are obvious  
11 flaws before they start doing the more expensive parts  
12 of the evaluation. And then there's a full sample  
13 system that's submitted, and the attacker -- the  
14 evaluation team tries to break it, tries to break either  
15 the whole system or specific parts. And at the end, if  
16 the system is broken then they tell the vendor what's  
17 broken and at least give them some clue about how to fix  
18 it. If it's not broken then they produce two reports.  
19 One is an internal report for the vendor and maybe the  
20 EAC, and then another thing is the external report for  
21 the public which doesn't detail exactly what tools were  
22 used but says, here's what we looked at, here's why we

1 think this is okay.

2       So I'll go into a little more detail with this.  
3 Kind of at a high level, the rules of engagement amount  
4 to what access and what resources an attacker's allowed  
5 to assume. You know, the evaluation team is allowed to  
6 assume in doing an attack. An example here would be,  
7 say, for physical security. If you look at the way  
8 that, say, safes are rated, they're rated in terms of  
9 the amount of time an attacker is given and what tools  
10 he's allowed to have. And something like that probably  
11 makes sense for physical security. You're concerned  
12 about a widespread attack on a voting system. You  
13 probably don't care about attacks where the attacker has  
14 to spend six hours breaking into each voting machine  
15 without leaving any traces, and he does it over the  
16 course of months. That's probably not as big of a  
17 concern. You might have rules of engagement that say  
18 something like the attacker is given 15 minutes with  
19 hand tools. And if he can open the back of the thing,  
20 get access to the internals of the voting machine and  
21 not leave obvious scars on the back of the machine, that  
22 qualifies as an attack. I don't know exactly what the

1 right parameters for that are. I'm just trying to use  
2 that as an example. That's the sort of thing that would  
3 go into the rules of engagement.

4       The policy issue to consider here is how much of  
5 this should be predefined by the standard, and how much  
6 of this should be open for negotiation between the  
7 vendor and the testing lab, or alternatively should be  
8 kind of evolved, maybe by the EAC, as we get operational  
9 experience with these tests. That's something to  
10 consider.

11       The second part of this is the submission package,  
12 the documentation. There are two parts to this. First  
13 is we want to request security documentation from the  
14 voting system vendor. We want them to explain basically  
15 what are the security controls you're using to  
16 accomplish the required security goals, and why should  
17 we believe that they're secure. That will make the  
18 evaluation team's job easier when they're looking at the  
19 system. So if you say no software can be installed on  
20 this voting machine because of this, this, and this,  
21 then first of all that gives the evaluation team a  
22 chance to read that documentation and see if they just

1 fundamentally disagree with it or if it's incomplete.  
2 And then it also gives them a guide to where to look to  
3 attack the system.

4       So the other part of this is procedures. Now you  
5 can't mandate exactly what procedures will be done in  
6 the states or the counties, but the voting system vendor  
7 needs to provide the set of procedures that are assumed  
8 in the evaluation, because procedures really affect  
9 potential attacks. Also there are specific things that  
10 are done, for example recounts, where it seems like it's  
11 not always clear exactly what the procedures are  
12 supposed to be. And we'd like to have that explicitly  
13 spelled out so that the evaluation team can look at the  
14 procedures for, say, doing a recount, doing normal  
15 voting, lay provisional ballots, anything like that that  
16 might be a problem, and specify what they're assuming is  
17 being done so that you can check that that actually does  
18 what it's supposed to do. That's just a (indiscernible)  
19 but kind of interesting policy issues here. First of  
20 all what procedures should we be including, should we  
21 even be worrying about these. I think we probably have  
22 to at least specify some minimal ones. But there's some

1 interesting questions about how much detail we should  
2 include. And a broader question that applies to all  
3 testing systems or all testing regimes is how we ensure  
4 the accuracy of the submission. So in other words, if  
5 the security documentation says that they're doing  
6 things and they're not really doing it, that would be  
7 pretty bad. We'd like to catch that. And the same  
8 applies for the systems that are tested, and are they  
9 the ones that get in the field.

10       So then we get into the more interesting attacks.  
11 So there are two different kind of categories here.  
12 There are full attacks which basically, probably are  
13 mostly going to be done looking at the documentation  
14 where you say, here's how you would just violate the  
15 whole security of the election system, maybe fix the  
16 election, given some (indiscernible) of insider access,  
17 maybe violate voter privacy. Any of those things, if  
18 you can demonstrate a way to do that, that should  
19 probably fail the system, although if it's being done  
20 with the documentation it may very well be that the  
21 problem is that the vendor didn't write the  
22 documentation correctly, not that there's actually a

1   flaw.  And so what you'd assume there is that the lab  
2   would send them back a note and say hey, it looks like  
3   there's an attack here, can you explain this better, and  
4   then they might fill in the details or say oh, let us  
5   fix that.  Kind of the interesting question here comes  
6   out to be, what should the definition of full attacks  
7   be, and how much of that should be negotiable, how much  
8   of that should be the rules of engagement, how much  
9   should be negotiable between the vendor and testing lab,  
10  versus how much should be just fixed in the standard.

11         The kind of interesting bit of this, of our work  
12  here is going to be the intermediate attack goals.  The  
13  idea is that instead of making you come up with a full  
14  attack on the voting system, if you can violate the  
15  security in some fundamental way, for example if you  
16  could show that you could install software on a DRE  
17  without the proper access, that should be enough to fail  
18  the system since that violates the standard.  So these  
19  are the kinds of examples of intermediate attack goals,  
20  you know, cause software to run without authorization,  
21  cause a loggable event to happen and not have an entry  
22  in the event log to correspond with -



1 (END OF AUDIOTAPE 4, SIDE A)

2 \* \* \* \* \*

3 (START OF AUDIOTAPE 4, SIDE B)

4 MR. KELSEY: -- any of those things, and I know  
5 exactly where we'll get the precise list of these. This  
6 is going to be something we'll have to develop. But the  
7 idea here is if you can get to any one of these kind of  
8 intermediate steps in a bigger attack, that should be  
9 enough that the system fails.

10 The justification here, there are really three  
11 reasons for wanting to fail the system when you have an  
12 intermediate attack rather than making you actually  
13 spell out a full attack, so not just get the software on  
14 the DRE but then show how you'd fix the whole election.  
15 The reasons for wanting to do this, first of all  
16 compromising an intermediate attack goal means that  
17 you've violated one of the security requirements, like  
18 you've installed software on a DRE that you shouldn't be  
19 able to. Automatically that means you've failed. The  
20 second thing is we'd like to encourage defense in depth.  
21 A lot of real-world attacks -- if you look at the  
22 difference between the attacks kind of in the lab and in

1 the real world, often it's hard to get from step 1 to  
2 step 2 to step 3 to get the full attack to work. And  
3 one way of making that harder is to make sure that you  
4 don't just say, well it's okay to have step 1 and step 2  
5 be easy, but then step 3 has to be hard. You say all  
6 three steps have to be hard. That's the kind of idea of  
7 defense in depth. You know, you have to get past the  
8 lock and the alarm and the dog, not just one.

9       The last thing there is to save the evaluation team  
10 some time and resources, if you look at the Rabba report  
11 it's clear that they ran out of time before they ran out  
12 of vulnerabilities. At least it seemed that way to me,  
13 and also that they spent a lot of their time working out  
14 how to get from the vulnerability that should have been  
15 enough to fail a system to the actual attack. And I'd  
16 like to see that time spent on finding other  
17 vulnerabilities to patch rather than on proving their  
18 case.

19       So an interesting question that is going to come up  
20 and that is actually pretty tricky here is how you  
21 decide whether the system passes or fails. Now the  
22 assumption is you're going to have unambiguous pass and

1 unambiguous fail. If the evaluation team has found 20  
2 attacks, it's going to fail. If the evaluation team  
3 didn't find a scratch on the thing, it's going to pass.  
4 There probably are going to be gray areas, and I think  
5 the goal of the standard here needs to be to try to  
6 minimize the ambiguity in those gray areas. The policy  
7 issue is whether the lab should decide to pass/fail  
8 itself, or whether it should write a report and then  
9 provide that to, say, the EAC or somebody, you know,  
10 produced by the EAC and have them do the decision to  
11 pass or fail. And I talked a little bit about that in  
12 the document.

13       The last bit of this is the final reports, and this  
14 kind of addresses something I think J. R. talked about  
15 earlier, that we have this internal report to the vendor  
16 which, hopefully the goal here is to help the vendor  
17 make the system better and make the next version of the  
18 system better. So this will include -- obviously if it  
19 fails then it includes everything that failed. But even  
20 if it passes you might still have things that as an  
21 evaluation team you want to tell the vendor, you know,  
22 this seemed like it might be an attack but we couldn't

1 get it to go anywhere, or this looked like a potential  
2 vulnerability but we didn't have time to address it.  
3 You wouldn't want that in a public report, but you want  
4 that to go back to the vendor so the vendor could fix it  
5 if they thought it was a problem.

6       So the external report to the public is a little  
7 different because the goal here is to let kind of  
8 members of the public, election officials, opposing  
9 political parties, whatever, convince themselves that  
10 that this evaluation was done in a meaningful way. So  
11 that's going to need to specify the rules of engagement  
12 and procedures that were assumed. So if you know that  
13 the assumption here was you hand recounted every  
14 hundredth DRE or something, or every 20th DRE, if that  
15 was the assumption of the procedures you need to know  
16 that what you assume to do the evaluation. If that's  
17 not the case in the real world, then maybe the  
18 evaluation doesn't apply.

19       We want to list what was looked at and how at kind  
20 of a high level. I gave a summary of that in my paper.  
21 It was like what the example, maybe a paragraph or two  
22 per intermediate attack goal looked at. We tried to

1 defeat the physical security, we tried a crowbar, we  
2 tried a lock pick, we tried a hacksaw, nothing worked.  
3 That would be the sort of thing, maybe in a more formal  
4 language. And that's kind of the highlight of the whole  
5 idea, is that the external report is supposed to tell  
6 you enough that you can convince yourself that this  
7 evaluation was done correctly.

8       So the interesting last bit of policy issues  
9 involved resource and money issues. So the question is  
10 how much money is available for the open-ended testing,  
11 and then of course there's a whole bunch of money that's  
12 going to go into the testing budget as a whole. And  
13 open-ended testing can be expensive. When I tried to  
14 budget this out myself just from my experience as a  
15 consultant, I couldn't see doing this sort of evaluation  
16 for under about \$100,000. And I think you'd probably  
17 run higher than that. I figure about \$100,000 to do a  
18 proper evaluation like this. I mean, the voting systems  
19 are fairly complicated and you're going to spend some  
20 time just ramping up to understand the system. It might  
21 be a little less, might be a little more, but that's at  
22 least the order of magnitude.

1           So I think that also speaks to the issue that Paul  
2 and Britt were talking about earlier about the large  
3 number of tests for different states. Ideally you'd  
4 want one really well-funded test that went into a lot  
5 of depth rather than maybe 30 or 40 different tests that  
6 each tested apart, and nobody doing a full evaluation.  
7 I don't know if that's helpful or not. And there are  
8 some concepts of interest issues here. And this is true  
9 in all kinds of testing systems. So the lab is probably  
10 paid by the vendor, so we need to use kind of lab  
11 accreditation and a reasonably well-written standard to  
12 try to minimize the effect of any conflict of interest  
13 there between the business arrangement and the  
14 requirement to check the quality of the work.

15           The big question -- I know I'm out of time, so I'll  
16 get out. The big question is whether this is a feasible  
17 approach. There aren't a lot of examples of this  
18 operationally. And I'll just say our current plan is to  
19 go very slowly in this, to do a lot more research before  
20 we write any binding standards, and also to -- or  
21 whatever it is, guidelines -- and also to try to start  
22 out with the idea of open-ended testing being done on

1 the parts that are easy to do. Automated scans of  
2 vulnerabilities, they're off-the-shelf products for a  
3 lot of these things. Some of the parts of the standard  
4 can't be evaluated any way but the open-ended  
5 evaluation. And then hopefully as we gain operational  
6 experience, we can increase the resources on open-ended  
7 testing. And that's it.

8 DR. SEMERJIAN: Thank you, John. We'll proceed  
9 with the last presentation by John Wack.

10 MR. WACK: Okay. Thank you. I'll try to be brief.  
11 I just want to let you know that I couldn't sleep last  
12 night because I was so nervous about, you know, I didn't  
13 know how to characterize VVPAT to you. So I was  
14 watching a TV show and it described how you can take  
15 these deep-sea submersibles to basically the bottom of  
16 the ocean where the tectonic plates join together and  
17 you've got an extremely high-pressure environment with  
18 vents of air coming from the core of the earth, and new  
19 life forms that don't obey the laws of nature. And I  
20 thought, that in a way is like VVPAT. I mean, it's  
21 really where the rubber hits the road. You have new  
22 technology that has really been invented, try to follow

1 the existing standards but there really weren't  
2 standards at that time for VVPAT, and new election  
3 procedures have to be invented. It introduces all sorts  
4 of new legal issues with ballots and so on and so forth.  
5 It's an extremely interesting area, but it's a work in  
6 progress. So what I'm going to give to you today is  
7 essentially a quick update. I'll just explain as I go  
8 along.

9       Let's just start right off with just a little bit  
10 of an overview of what's going on with VVPAT. I tried  
11 to find out basically how many voters would be using  
12 VVPAT systems during the year 2006. And I basically ran  
13 out of luck. I did a lot of research. I finally ended  
14 up talking with vendors and came down to five plus  
15 states will be using VVPAT systems. But I actually  
16 don't know how many voters. But I think we will find  
17 I'd say over the months of June, July, August that we'll  
18 get a lot of feedback from elections where VVPAT systems  
19 have been used. The previous time I think was in Nevada  
20 and we'll basically be able to see the results of using  
21 them on a more widespread basis. It will be very  
22 interesting to monitor how well the systems perform for



1 audit purposes as well as usability. Usability not only  
2 for the voters, but for the election officials  
3 themselves. So it will be a quite interesting time I  
4 think.

5       And this gets into basically what I want to talk  
6 about, which is broadening the VVPAT requirements that  
7 are in the VVSG 2005. Originally when we came up with  
8 this timeline we came up with these chunkable modules  
9 that could be swapped in and swapped out, and VVPAT was  
10 the first one. And it brought to head some issues in  
11 that we didn't think that the research was really  
12 complete, that we could provide a complete finish to  
13 VVPAT module that we could swap in. And we wanted to be  
14 like doctors and above all do no harm, but we also  
15 wanted to at the same time accommodate what we thought  
16 were some legitimate comments received during the VVSG  
17 comment resolution period. And in particular we  
18 received some comments from a vendor of an electronic  
19 ballot-marking device who mentioned basically that such  
20 devices do produce a very nice piece of paper that's  
21 actually a ballot that can be used as the official  
22 ballot of record. And it is voter verified because the

1 voter handles it and looks at it, and in many cases can  
2 take it and deposit it into an upscan device where it  
3 can be scanned in. And therefore you do have two  
4 records there.

5       So what I'll get into is that in doing a bit of an  
6 update we did some research, talked with some vendors,  
7 and came to the understanding that it would be better to  
8 not constrain the existing requirements to DREs being  
9 the only types of voting systems that can in effect be  
10 part of a VVPAT system. If we opened it up to other  
11 types of voting systems that essentially do end up  
12 producing a voter-verified paper audit trail, that we  
13 would be doing states a favor, we would be doing vendors  
14 a favor, we would be doing everybody else a favor. And  
15 at the same time we wouldn't be changing the  
16 requirements in any big way. So I will just note, you  
17 know, maybe beat it into the ground a little bit that  
18 it's important to focus on what VVPAT can be. It's an  
19 audit trail but it's a paper audit trail, and it's a  
20 Voter-Verifiable Paper Audit Trail. So we believe that  
21 using an electronic ballot marker device combined with  
22 an upscan system in effect produces a voter-verified

1 paper audit trail.

2 Now to broaden the requirements so that they would  
3 allow these different types of approaches, not  
4 specifically I should note, not specifically to broaden  
5 the requirements for only electronic ballot marker  
6 devices, but to broaden the requirements in general, to  
7 allow different approaches. It essentially requires  
8 that in some of the requirements we have to proceed them  
9 with four DRE systems. And just a quick example up  
10 there on the screen, DRE systems produce an electronic  
11 record. Optical scan systems currently do not.

12 But for the purposes of providing a voter-verified  
13 paper audit trail that can be used in an audit of the  
14 election counts, it's not specifically necessary that  
15 electronic records for each ballot be present. Now  
16 along with this we noted some difficulties in the press  
17 with auditing some VVPAT systems. And we need to at  
18 some point in the introductory material basically  
19 describe the results of our threat analyses. And we  
20 aren't there just yet, but we can safely say that we  
21 believe that there has to be a basis of auditing for  
22 voting systems, that no matter how secure our

1 requirements are they have to depend on the fact that  
2 some sort of audit will occur.

3       And in this particular slide here, I just want to  
4 point out that with VVPAT you have two records  
5 obviously, a paper and electronic or a paper and the  
6 machine totals. And obviously the paper needs to be  
7 used in an audit of the machine totals and/or of the  
8 electronic records. A lot of the VVPAT systems produce  
9 not only a paper record but a barcode, and the barcode  
10 is basically supposed to encode what is in the paper  
11 record. And essentially one can take a barcode scanner  
12 and scan that in, and you've got it in memory and you  
13 can more easily manipulate it. But the fact is that is  
14 a third record and it's not a Voter-Verifiable Paper  
15 Audit Trail record. The voter does not verify that  
16 barcode, the voter doesn't know what's in the barcode.  
17 So if you are going to use those in an audit, it's  
18 imperative that basically the barcodes themselves be  
19 audited to ensure that they actually do match up with a  
20 paper record. So it really has to be a two-step audit.  
21 States that decide to take this approach essentially  
22 have to take this into mind, and it does call into

1 question what software you're going to be using to  
2 perform this audit, and whether that software has been  
3 inspected along with the voting system code, and so on  
4 and so forth. There are some issues there.

5       Where will we be going with VVPAT in the final  
6 version? Earlier in the morning I basically said in  
7 many ways there isn't a whole lot new in the VVSG. The  
8 biggest contribution I think we're making is that we're  
9 specifying the requirements well, we're linking them to  
10 tests, we're making the document easy to use, we're  
11 trying to simplify. The existing VVPAT requirements are  
12 sort of monolithic. They basically need to be  
13 distributed more. There are accuracy-related  
14 requirements, reliability-related requirements,  
15 workmanship-related usability, accessibility mixed in  
16 with VVPAT. And those logically belong in other parts  
17 of the document. So that will change. We need to do  
18 more research in the area of electronic and paper record  
19 formats. And we definitely need to explore more the  
20 issue of usability for election officials as well as  
21 voters with VVPAT.

22       So I'll leave you with these open areas that we

1 need to look at as these requirements evolve. We'll  
2 talk about these issues in some of the STS telecons,  
3 whether barcodes themselves are generally a good idea.  
4 Barcodes right now exist because basically if you have a  
5 relatively small paper spool you can scan in the barcode  
6 quickly, and it's easier to do that than it is to  
7 actually read the paper spool. But again it introduces  
8 complexity. It's a third record. You don't know what's  
9 in the barcode. It needs to be audited. So is it in  
10 general idea, is this something the standards ought to  
11 depend upon. I've talked about more study needing to be  
12 done in the area of usability and ease of auditing. I  
13 just want to highlight that a voter-verified paper audit  
14 trail system is really two things. It's basically the  
15 voter in a sense being able to compare two records and  
16 prove that the voting system is working correctly. But  
17 it depends highly -- the other part of it is it depends  
18 highly on the ability of the records to be audited. And  
19 if the records can't be audited easily, then it's  
20 essentially not worth doing. So we need to make sure in  
21 the requirements that we specify good usability for  
22 election officials when it comes to the VVPAT records.

1           Another area that really goes in many areas of the  
2 VVSG but specifically right now for VVPAT is some sort  
3 of common format for electronic records. We've talked  
4 about going in the direction of EML, Election Markup  
5 Language, but we recognize that if there were a common  
6 format and if these records eventually had things in  
7 them such as digital signatures, identifications of  
8 machines, and things like that, it would make auditing  
9 more simple in the long run.

10           Discussion. So I've tried to make up a little bit  
11 of time and I've gone over material quickly. But I  
12 think we're at the discussion area now, and I think it's  
13 discussion area for all three of our presentations.

14           DR. SEMERJIAN: Okay, well let me just point out  
15 that we believe these preliminary reports of the  
16 Security and Transparency Subcommittee respond to TGDC  
17 resolutions 1205, 1405, 1505 -- it's a long list --  
18 1605, 17, 18, 21, 22, 23, 35, and 3905. So a lot of  
19 resolutions are being addressed through this work. And  
20 unless there are supplemental directions or corrections,  
21 the technical support and related work product will  
22 continue to be developed consistent with this

1 preliminary report. So are there any questions, further  
2 directions, or corrections? Mr. Berger?

3 MR. BERGER: John, thank you for your report. I  
4 just have one question. The VVPAT is intended to be a  
5 solution to a problem. I just would like you to reflect  
6 on, are the standards written such that if a better  
7 solution comes along it can be qualified?

8 MR. WACK: Well, when you say better solution,  
9 would you be thinking of some solution that didn't  
10 necessarily use paper?

11 MR. BERGER: I wouldn't (indiscernible) the  
12 thought, but basically it's going back to almost the  
13 security. What's the threat that we're worried about --

14 MR. WACK: Ah, I see.

15 MR. BERGER: -- and how is this the solution if  
16 someone comes up with a better mousetrap?

17 MR. WACK: Well that's a toughy to answer in many  
18 ways. We have been pushing the concept of, we called it  
19 IDV, Independent Dual Verification or Independent  
20 Verification. And that work is evolving right now.  
21 We've had a lot of very active discussions trying to  
22 boil that down into what do we really need for a record



1 of a voting system to exist, that is independently  
2 verifiable and can be used in recounts and audits, and  
3 basically prove that the machine is functioning  
4 correctly. We don't have specific answers for that at  
5 this point. We're still going down that path. I want  
6 the VVPAT requirements though to basically be a subset  
7 of -- I didn't turn off my cell phone and I apologize.  
8 It's very nasty of me. The VVPAT requirements  
9 essentially should be a subset of the IV requirements.  
10 So we do not want them written in any way that precludes  
11 any other approaches that perhaps are more flexible.  
12 When I made the comment about paper I didn't mean to be  
13 funny or facetious, but paper has been noted as being  
14 difficult to handle. And if there are other ways of  
15 doing it that don't necessarily involve paper, we would  
16 want to definitely explore those ways, yes.

17 DR. SEMERJIAN: Mr. Karmol?

18 MR. KARMOL: Mr. Chairman, Dave Karmol. John, I'm  
19 sorry. Maybe I missed something in one of our meetings,  
20 but didn't we change the term here to Voter-Verifiable  
21 Paper Audit Trails?

22 MR. WACK: Yes, we did. And I noticed that about

1 one minute before I came up on stage and was hoping  
2 nobody else would.

3 MR. KARMOL: Okay, I just thought maybe I was --

4 MR. WACK: And it is true. It's not voter  
5 verified, it is potentially voter verifiable. The  
6 numbers of voters who actually verify VVPAT records, we  
7 don't know. But I would guess it might be one in five.

8 DR. SEMERJIAN: That will be corrected when all  
9 this material is posted on the web. Do I hear a -- yes.

10 MR. GALE: John Gale from Nebraska. In listening  
11 to your comments and looking at your notes, I don't see  
12 that you've tied the EBM into this particular  
13 presentation. In other words, like an Automark ballot  
14 as a Voter-Verifiable Paper Audit Trail. And I guess  
15 that's good from my point of view. I think they're two  
16 distinctly different products, but is that contained  
17 within? Did I miss something?

18 MR. WACK: Well, it's my contention that an  
19 Automark or another similar sort of system does  
20 essentially produce a ballot. And if the voter picks up  
21 the ballot and can inspect the ballot and put it into an  
22 upscan or some sort of tabulator system, that in essence

1 is a Voter-Verified Paper Audit Trail. You end up with  
2 electronic machine totals and you end up with a piece of  
3 paper. The piece of paper can be the ballot of record  
4 or it can be a paper spool. But in essence you do end  
5 up with two records, and the voter has verified one of  
6 them and that record can be used in recounts, or it can  
7 be used in high-quality audits. So we contend that in  
8 essence you are creating a Voter-Verifiable Paper Audit  
9 Trail when you're using an EBM and an upscan system.

10 MR. GALE: I guess I see them as so distinctly  
11 different. I don't think the courts of law have  
12 resolved that issue of what is a ballot. But I think  
13 it's very clear with the Automark, that is a paper  
14 ballot, that is the official cast ballot. And with the  
15 Verifiable Paper Audit Trail, the official ballot is the  
16 electronic and this is just a piece of paper that maybe  
17 is used and maybe not be used. We don't know. So I  
18 hate to have a system that has a very clear product, a  
19 paper ballot that is tabulated suddenly put into this  
20 morass of confusion and fog that revolves around the  
21 VVPAT. So to combine them sounds like you're mixing  
22 apples and oranges, you're prejudging some things that

1 the courts of law are going to address eventually. And  
2 if we build some assumptions here, assuming a clarity  
3 that's not going to be there when the courts handle it,  
4 I think is really jumping ahead of the game. I think  
5 they should be maintained as separate systems until a  
6 court determines that they're the same as a matter of  
7 policy, which hasn't been decided. So you're jumping  
8 out ahead of the courts and making a determination that  
9 I don't necessarily think is going to be there?

10 UNIDENTIFIED SPEAKER: Can I follow up, John? Do  
11 you consider an upscan system that is a human-marked  
12 paper ballot that's been scanned to also be in a similar  
13 category?

14 MR. WACK: Well I was hoping not to get into that  
15 because that's --

16 UNIDENTIFIED SPEAKER: Sorry (indiscernible).

17 MR. WACK: I don't have a good answer for you  
18 there. I mean, actually we've been working on the  
19 accuracy requirements, or David Flater has, in that  
20 particular area, doing active research. But just  
21 briefly, the problem is see is that if you have hand-  
22 marked or manually-marked paper ballots, you have

1 something that's potentially ambiguous. And  
2 essentially when they are scanned, and they're most  
3 likely scanned accurately but not always, depending on  
4 marginal marks, and all these things. So can it be used  
5 to create an unambiguous audit trail, that if you gave  
6 it to three sets of election judges they would all come  
7 up with the same conclusions I don't know the answer  
8 to that yet, and I'll get back to that above all do no  
9 harm. I felt we were safe broadening it to Electronic  
10 Ballot Marking devices that produce a machine ballot,  
11 but not the hand-marked ballot.

12 DR. SEMERJIAN: Dr. Rivest?

13 DR. RIVEST: Yes, I wanted to respond to Secretary  
14 of State Gale's comment, too. I think one interesting  
15 question for this committee is sort of our rules of  
16 engagement in dealing with all these of these variety of  
17 systems. We have voting systems which, as pieces of  
18 equipment, produce multiple records. Some of them may  
19 be paper, some of them may be electronic, some of them  
20 may be paper marked by people, and so on. And then the  
21 question that you raised, the distinction you raised,  
22 with is a very interesting one, is which is the ballot

1 of record which is the one that does the primary record.  
2 It's a matter of state law typically. And we're writing  
3 standards like this up to date, at least in the Security  
4 Committee. We have not paid attention to that  
5 distinction as a matter of policy because states do vary  
6 on this. So we care about things like the  
7 correspondence between the paper and the electronic and  
8 so on, too. But if a vendor was to submit a voting  
9 system for certification, then under your interpretation  
10 he would have to specify which is the ballot of record  
11 produced by this machine. It would only be certified in  
12 that usage mode, and to my understanding we have not had  
13 vendors submitting voting systems where they specified  
14 this particular record, the electronic records, say, or  
15 the paper record, is to be the ballot record. And it's  
16 only to be certified in that usage mode. And if we want  
17 to get into that, that would be an interesting  
18 direction. It maybe be very helpful for the  
19 (indiscernible) kinds of reasons you suggest, but my  
20 understanding of our task here is to not take those  
21 kinds of considerations into account.

22 DR. SCHUTZER: Well I'd like to just give a thought

1 that we really don't -- until we started the Human  
2 Factors and the actual usage of these things,  
3 independently of what we'll call the thing of record.  
4 Until we see people's behavior, we really don't fully  
5 understand things. It would be interesting to do some  
6 of these tests. Like I would reckon that if I was on a  
7 machine and selecting based upon the screen and then I  
8 got a printout which was the vote of record, that if  
9 that printout didn't match what was on the screen, I  
10 reckon that a good percentage of people would not even  
11 be looking at what they were casting in the ballot. And  
12 really the only thing they look at was on the screen.  
13 It would be an interesting test to see if you actually  
14 printed something different, which is the vote of  
15 record, whether anybody who looked at it even cared.

16 UNIDENTIFIED SPEAKER: Ted Selker (phonetic sp.)  
17 has done some studies along those lines.

18 UNIDENTIFIED SPEAKER: And what were the results?

19 UNIDENTIFIED SPEAKER: Yes, what he reported in the  
20 IEEE Committee was 5% of the people will look at the  
21 paper record.

22 UNIDENTIFIED SPEAKER: I'm sorry. Ted Selker did

1 not do a controlled study on whether people actually  
2 verified their record. What he did was observe during  
3 an election to see whether he thought people were  
4 checking that paper record.

5 MR. SCHUTZER: Oh, I mean, a good test would be  
6 actually to have (indiscernible) where they print out  
7 something different and see if anybody catches it.

8 DR SEMERJIAN: Certainly the policy aspects of  
9 this, you know, I'm not quite sure whether it comes into  
10 the jurisdiction of this committee. But I think the  
11 committee is focused on correspondence as Dr. Rivest  
12 said, you know, so that you can assess whether the same  
13 information comes out of the two different information  
14 channels. And, you know, perhaps that's something for  
15 further discussion in the future.

16 MR. GALE: Well, Mr. Chairman, John Gale. I think  
17 it's critically important. I think it's a fundamental  
18 thing that we have to decide, because a manually-marked  
19 ballot in the minds of every voter is an official  
20 ballot. Maybe they're not so sure about electronic  
21 ballot, and maybe that's why they need this paper trail.  
22 But in Nebraska with Automark, we're going to end up



1 with two kinds of ballots. We're going to have the  
2 manually-marked ballot, we're going to have a ballot  
3 marked through the equipment that becomes an official  
4 ballot as well. But we're going to call them two  
5 different things, the manually-marked ballot,  
6 everybody's saying that's fine. That doesn't have to be  
7 called a verified paper trail. But the one that comes  
8 through the Automark is going to have to be called a  
9 verified paper trail, which may or may not be recognized  
10 as a ballot by the courts of law. So it seems to me  
11 they're exactly the same thing. You have a manually-  
12 marked ballot, you have a piece of equipment that marks  
13 your ballot by your direction, and they both are the  
14 official ballot for recount purposes in Nebraska and  
15 every other state that uses them. But yet the official  
16 ballot under the DRE standards as I understand, the  
17 official ballot is the electronic ballot, and the other  
18 is only for use in the event of a court contest in the  
19 election.

20 UNIDENTIFIED SPEAKER: State law.

21 MR. GALE: And, by according to state law.

22 UNIDENTIFIED SPEAKER: One complicating thing, I

1 don't know which states specifically, but some states,  
2 their statutes basically say that in the event of a  
3 recount, the VVPAT paper spool will be the official  
4 record. And since I don't think that's happened yet, it  
5 will be interesting to observe what happens at that  
6 point. But I think in the research we're doing in IV  
7 and independent verification systems, we haven't made  
8 the distinction of the, well if there is a paper trail  
9 or some other record produced of that being specifically  
10 a ballot of record or some ancillary audit record. We  
11 haven't gone that far into the policy areas. I hear  
12 what you're saying, but thus far we have not addressed  
13 that issue.

14 MR. GALE: I guess it becomes a point -- John Gale  
15 again -- when our candidacy board sits, we're certifying  
16 the election based upon the certification of our county  
17 officials for certified paper ballots. And those paper  
18 ballots are either manual or they're Automark, but they  
19 are paper ballots. That's what we certify.

20 UNIDENTIFIED SPEAKER: You do not certify, as far  
21 as I know, the paper audit trail from DREs. They  
22 certify the electronic vote unless there is a contest.

1 At least, that's the direction I understand many states  
2 are going. But it is a matter of state law but I think  
3 that confusion or that oversight has to be resolved so  
4 that we're not trying to answer a political policy  
5 issue through some equipment guidelines.

6 DR. SEMERJIAN: May I call on Commissioner Davidson  
7 to see whether EAC is -- is this something you want to  
8 comment on? Is this something that this committee  
9 should be concerned about, or would you like to think  
10 about that and maybe respond at a later time?

11 UNIDENTIFIED SPEAKER: Yes, we would prefer to  
12 think about it and then get back to you.

13 (Indiscernible) do that very shortly but we prefer to  
14 think about it.

15 DR. SEMERJIAN: Okay. Is that --

16 UNIDENTIFIED SPEAKER: (Indiscernible) and didn't  
17 really see the issues that the Secretary has brought up.  
18 So we (indiscernible) to discuss it.

19 DR. SEMERJIAN: Okay. Any -- Mr. Berger, did you  
20 have another question?

21 MR. BERGER: I just wanted to -- probably comment  
22 to follow, but Whitney, let me ask you. That number

1 that I quoted, do you think that's wildly off the mark?  
2 That 5% of people actually look at a printed record and  
3 verify that that's how they voted on it?

4 MS. QUESENBERRY: Whitney Quesenbery. I haven't  
5 the slightest idea. I haven't done the research. I  
6 think it would depend a great deal on the instructions  
7 they were given. I think it would just depend a great  
8 deal on the presentation of the material, how and when  
9 it was presented, and it would depend a great deal on  
10 the state election laws in which it was happening. So I  
11 don't, I think that's, you know, do people check their  
12 bank records? I don't know. I bet Mr. Schutzer does,  
13 but I don't think there's any (indiscernible) about  
14 that.

15 UNIDENTIFIED SPEAKER: I might just offer that --

16 MS. QUESENBERRY: And I guess the other question is,  
17 does it matter if only a few people check it?

18 UNIDENTIFIED SPEAKER: I guess I'd offer this  
19 observation. In the popular mind at least, this is  
20 viewed as a remedy to a potential threat. If our  
21 research shows that it's not as effective a remedy or  
22 protection as might be afforded, perhaps to go back to

1 an earlier presentation, we need an alarm and a dog so  
2 that might indicate some direction.

3 DR. SEMERJIAN: Dr. Rivest?

4 DR. RIVEST: If I could comment on that, I think  
5 there's a misperception too that everybody needs to  
6 check the voter-verified paper audit trail in order for  
7 it to be an effective deterrent against somebody trying  
8 to put in malicious software. And even if only a small  
9 fraction of people do check them and they do raise an  
10 alarm when they see it, you've got good proof there that  
11 the paper doesn't agree to what they voted, you've  
12 detected fraud. So that even if the number were smaller  
13 than commonly thought was necessary, it could still be  
14 very effective as a deterrent.

15 DR. SEMERJIAN: Okay. Do I hear a motion to adopt  
16 this preliminary report?

17 UNIDENTIFIED SPEAKER: I move to adopt it.

18 UNIDENTIFIED SPEAKER: I second.

19 UNIDENTIFIED SPEAKER: Second.

20 DR. SEMERJIAN: Okay, we have a motion and a  
21 second. Any other comments?

22 (No audible response.)

1 DR. SEMERJIAN: If not, all those in favor of  
2 adopting this report, say I.

3 UNIDENTIFIED SPEAKERS: Aye.

4 DR. SEMERJIAN: Any opposed?

5 UNIDENTIFIED INDIVIDUAL: Naye.

6 DR. SEMERJIAN: We have one vote opposed. The  
7 report is adopted by a majority vote. Okay, I think Mr.  
8 Harding is waiting there. And at this time I'd like to  
9 open the floor to the introduction of any new  
10 resolutions. And we promised J. R. the first shot at  
11 this.

12 DR. HARING: Thank you, Mr. Chairman. Before I  
13 make a motion, I'd like to make a statement and an  
14 observation. First, the statement in terms of what the  
15 EAC, the TGDC, the two advisory groups, and the public  
16 are doing is simply a national (indiscernible) in which  
17 they (indiscernible) and we need a standard that applies  
18 to this thing we call coding. And in that  
19 (indiscernible) it always makes me think of the Atlas  
20 Board and the 16 years we've had with the  
21 (indiscernible). And as (indiscernible) America, even  
22 though we have verifiable standards that are very

1 precise, no matter where I go in the country they are  
2 implemented differently. Case in point, this hotel  
3 right here just spend \$5.7 million upgrading stuff, 20%  
4 of it on facility things, but there's a half dozen  
5 things in my room that do not comply with these  
6 standards. Now those that interfere with me using the  
7 room, well not me in general, but another member of my  
8 community would very much have a problem when there  
9 isn't even a toilet paper dispenser. So it makes me  
10 want to then move a motion to increase the interaction -  
11 - I don't want to call it the Outreach, but the  
12 interaction by the EAC, and specifically the TGDC, with  
13 the disabled community and the development of the VVSG  
14 2007. I would like that motion to read that we move the  
15 Subcommittee Chairs to consult with the Commissioners to  
16 develop an action or strategy plan to more involve the  
17 disabled community, with the relevant issues for the  
18 VVSG 2007 requirements that are being considered. And  
19 that's this interaction that they (indiscernible)  
20 perhaps in lieu of public hearings or special kinds of  
21 involvement regarding the voting requirement as we work  
22 on issues that specifically address (indiscernible)

1 voting issues. Does that help?

2 DR. SEMERJIAN: J. R., I think you have to read --  
3 do you have this written down?

4 DR. HARDING: I have it written down, but I  
5 modified it on a slide. Alan, do you have it still?

6 MR. GOLDFINE: No.

7 DR. SEMERJIAN: No, did you read that  
8 (indiscernible)?

9 MR. GOLDINE: If you could go a little more slowly  
10 we can probably write it down, type it.

11 DR. HARDING: Okay. I would like to move that the  
12 TGDC Subcommittee Chairs work in consultation with the  
13 EAC Commissioners, and the --

14 UNIDENTIFIED INDIVIDUAL: Stop.

15 DR. SEMERJIAN: Hold on a minute, Jack.

16 DR. HARDING: Okay.

17 MR. GOLDFINE: Okay, what I have is that you move  
18 that the TGDC Subcommittee Chairs work in consultation  
19 with the EAC -- go from there.

20 DR. HARDING: And the Chair of the TGDC. So we're  
21 got our five -- our four Chairs with the EAC.

22 MR. GOLDFINE: Okay, go from TGDC.



1 DR. HARDING: -- to develop an interactive strategy  
2 to involve the disabled community in the review of the  
3 relevant VVSG 2007 requirements.

4 DR. GOLDFINE: Okay, let's go to involve the  
5 disabled community, and take it from there.

6 DR. HARDING: -- in the review of relevant VVSG  
7 2007 requirements being considered at this point.

8 MR. GOLDFINE: Okay, take it from 2007  
9 requirements.

10 DR. HARDING: Okay, relevant 2007 --

11 DR. SEMERJIAN: Being considered was the last --

12 DR. HARDING: -- that are being considered by the  
13 TGDC.

14 DR. SEMERJIAN: Well, that's a given.

15 DR. HARDING: Okay, that's a given. Okay, The  
16 last part then is the interaction/Outreach  
17 (indiscernible) could include public hearings or other  
18 special inclusion activity or voting requirements that  
19 include the cognitive disabled voter.

20 MR. GOLDFINE: Okay, Outreach activities could  
21 include -- and go from there.

22 DR. HARDING: -- public hearings --

1 MR. GOLDFINE: -- public hearings --

2 DR. HARDING: -- and other unique events --

3 MR. GOLDFINE: -- and other unique events --

4 DR. HARDING: -- that specifically address voting  
5 requirements for the disabled --

6 MR. GOLDFINE: -- that specifically address voting  
7 requirements for the disabled --

8 DR. HARDING: -- and specifically the cognitive  
9 disabled voters, or the voter with cognitive disability  
10 issues, I guess is politically the way to say it.

11 MR. GOLDFINE: Okay, voting requirements for the  
12 disabled, especially -- after disabled, take it from  
13 there. How did you reword that?

14 DR. HARDING: -- and especially those with  
15 cognitive disabilities.

16 MR. GOLDFINE: All right. What we have here, and  
17 we can modify it, you move that the Subcommittee Chairs  
18 work in consultation with --

19 DR. SEMERJIAN: Let's modify that because it's sort  
20 of -- say that move that the TGDC Chair and the  
21 Subcommittee Chairs. I think that's what he meant.

22 DR. HARDING: Yes.

1 DR. SEMERJIAN: So start there -- and Subcommittee  
2 Chairs, to work in consultation with the EAC. And then  
3 take out the one after that, up to develop. Right. So  
4 move that the TGDC Chair and the Subcommittee Chairs to  
5 work in consultation with the EAC to develop a  
6 interactive strategy -- I think to develop a strategy --

7 DR. HARDING: Oh, yes, an interactive strategy. I  
8 didn't want to say Outreach, because Outreach is such a  
9 loose word. But basically --

10 MS. QUESENBERRY: J. R.?

11 DR. HARDING: -- (indiscernible) of our community.

12 MS. QUESENBERRY: It's not an interactive strategy.  
13 It's a strategy to involve the disabled community.

14 DR. SEMERJIAN: Yes.

15 DR. HARDING: There you go. Thank you, Whitney.

16 DR. SEMERJIAN: Okay, so take out the interactive -  
17 - to develop a strategy to involve the disabled  
18 community in the review of relevant VVSG 2007  
19 requirements that are being considered by the TGDC.  
20 Outreach activities could include public hearings and  
21 other unique events that specifically address voting  
22 requirements for the disabled, and especially those with

1 cognitive disabilities.

2 DR. HARDING: That's affirmative.

3 DR. SEMERJIAN: Does that capture --

4 DR. HARDING: It does, Mr. Chairman. Thank you.

5 DR. SEMERJIAN: Okay.

6 MR. CRAFT: I'll second.

7 DR. SEMERJIAN: We've got a motion and we have a  
8 second. Any comments, questions? Secretary Gale?

9 MR. GALE: J. R., I have a question. It seems like  
10 the same thing could be said of vendors for example in  
11 terms of promoting their earlier involvement. It seems  
12 like there is kind of a procedure and an order to these  
13 things where the staff develops recommendations. As  
14 we've been hearing today we develop resolutions and  
15 policy, and eventually there are public hearings at  
16 which all relevant and interested partners and groups  
17 get to testify and submit written commentary and  
18 testimony. If we keep moving that earlier and earlier,  
19 it seems like it makes us over burdened with  
20 participation before we develop something that people  
21 can look at. And I'm not objecting to your thoughts,  
22 but it seems like the public hearing part of it is the

1 logical part of it. But earlier involvement, how do you  
2 decide -- let's say we're talking about vendors, how do  
3 you decide what vendors are going to be consulted  
4 earlier? Or in terms of those with cognitive  
5 disabilities, are we able to identify organizations and  
6 groups that would be representative enough to be  
7 consulted without other people objecting if we consult  
8 early? Does that makes sense?

9 DR. HARDING: Yes. Mr. Chairman, may I answer  
10 that?

11 DR. SEMERJIAN: Of course. Go ahead.

12 DR. HARDING: Well, Mr. Secretary, now you hit it  
13 on the hammer. The latter part of your question is do  
14 we have (indiscernible) a group who for the -

15 **(END OF AUDIOTAPE 4, SIDE B)**

16 \* \* \* \* \*

17 **(START OF AUDIOTAPE 5, SIDE A)**

18 DR. HARDING: -- with community special Outreach  
19 has more of the (indiscernible) as opposed to saying  
20 well, if this is what you want to do, you've got to take  
21 it or like it, and that to me I think is a strategy do  
22 (indiscernible) a population that's disenfranchised

1 (indiscernible) is currently still disenfranchised from  
2 this process. And so I'm just tempted to  
3 (indiscernible) meaning the EAC could continue to  
4 (indiscernible) to tease this out faster or faster, and  
5 yes (indiscernible) but as when and where  
6 (indiscernible) Mr. Secretary.

7 DR. SEMERJIAN: Mr. Craft?

8 MR. CRAFT: Yes, J. R., this is Paul Craft. Is the  
9 heart of the motion which you made and I seconded more  
10 to perhaps moving up the attention that we're giving or  
11 not giving to cognitive disabilities? And I guess  
12 dealing with the first part of it, are there more  
13 specific things you feel we should be doing to  
14 accomplish involving the disabled community?

15 DR. HARDING: Well what I was thinking on that  
16 line, for example, we had a big debate on the shoulds  
17 and the shalls. And now that it's been (indiscernible)  
18 for the '05, the '07, I as a member of the Committee, I  
19 don't know which ones were in and which were not left in  
20 in the final document. And what might be threshold for  
21 changing them, because we said we won't make  
22 (indiscernible) shall, but when we were going to do that

1 and what was the criteria going to be, and have like a  
2 community help us (indiscernible) and maybe there is an  
3 interaction with the vendor community on their  
4 (indiscernible).

5 MS. QUESENBERRY: If I could?

6 DR. SEMERJIAN: Ms. Quesenberry?

7 MS. QUESENBERRY: I'd like to come at this at a  
8 slightly different direction. When we started this  
9 committee, one of the things that we did in September of  
10 2000-something, four probably, was held public hearings  
11 that were designed to bring out issues in advance of  
12 beginning the serious work on developing the standard.  
13 And I'm afraid (indiscernible) wasn't able to attend the  
14 other Subcommittee's days, but those hearings were  
15 really useful for us because we were able to look ahead  
16 and say, what are the issues that we see coming up and  
17 find experts in that community to bring research, to  
18 bring their work, to sort of put on the plate for us.  
19 I'm --

20 DR. HARDING: (Indiscernible.)

21 MS. QUESENBERRY: J. R., if I could just finish.

22 DR. HARDING: (Indiscernible.)

1 MS. QUESENBERRY: J. R., if I could just finish. I  
2 look forward at what's on the Human Factors and  
3 Subcommittee plate, and it's a pretty full plate. On  
4 the other hand, the last slide that Dr. Laskowski shared  
5 also had some stuff that's coming up. Maybe that list  
6 is not complete, but there's certainly work where  
7 perhaps what we need to be doing is doing a public  
8 hearing where we do some ingathering of things, not just  
9 from a specific disabilities community but from around a  
10 number of communities who are concerned about types of  
11 equipment. Phone voting is one that came up in our  
12 area. It was mentioned by Commissioner Davidson. We've  
13 been thinking about tactile voting, tactile ballot  
14 markers, not electronic ballot-assisted markers, because  
15 with some states rolling back to paper and a pretty  
16 large number of people using paper, one of the questions  
17 is can we help people vote whose disabilities may be of  
18 a type where that would be an effective solution. And  
19 maybe that's something that we could in fact do as the  
20 TGDC to begin to bring some of that material into our  
21 thinking. We had, a Human Factors thing is we had a big  
22 mix of academic researchers, advocates, vendors, and



1 voting officials all presenting.

2 DR. SEMERJIAN: I believe Commissioner Davidson  
3 would like to make a comment.

4 MS. DAVIDSON: I just have a question. J. R., are  
5 you aware that we did -- in the Human Factors area  
6 because of the disabilities -- make a lot of the shoulds  
7 shalls in the 2005 standards?

8 DR. HARDING: Well I knew we did a great number of  
9 them, Commissioner. I just didn't know how many. And  
10 then what was the criteria for excluding the others, and  
11 that is part of where I was going.

12 MS. DAVIDSON: I think maybe if you knew how many  
13 of them had been changed, because in working with John  
14 and Mark and different ones we did change those before  
15 we adopted them in December. So I wonder before, you  
16 know, with some of the discussion going on, maybe it  
17 would be important for you to see how many of them had  
18 been changed.

19 DR. HARDING: Well I would be willing to withdraw  
20 the motion, Ms. Chairman, if we could perhaps  
21 (Indiscernible). I kindly was saying in terms of just  
22 using the Human Factors and generally doing Outreach to

1 the (indiscernible) community as we are (indiscernible)  
2 with these various issues that they should, you know  
3 (indiscernible) so we're not getting hijacked on the  
4 back end.

5 MS. QUESENBERRY: This is Whitney Quesenbery. Dr.  
6 Laskowski, I know that we did an analysis for the  
7 Subcommittee and I can't remember whether we did this  
8 verbally or actually did a matrix of what the changes  
9 were. Is that something that we could distribute to the  
10 whole TGDC? I can't remember whether it was in a  
11 finished form or notes form.

12 DR. LASKOWSKI: We have a write up and John and I  
13 were trying to remember who we distributed it to. I  
14 don't know if it went outside the (indiscernible).

15 MS. QUESENBERRY: I think it just went to HFP, so  
16 maybe that's something we should distribute more  
17 broadly, I mean, to the whole TGDC.

18 DR. LASWOWSKI: So we could circulate that. Yes.

19 MS. QUESENBERRY: Because we did, John did do the  
20 work.

21 DR. LASKOWSKI: Yes, and we (indiscernible).

22 DR. SEMERJIAN: So did you hear that, J. R.?

1 DR. HARDING: Yes, I did, Mr. Chairman. And if we  
2 could get that distributed as well as the shoulds and  
3 the shalls --

4 DR. LASKOWSKI: That includes the shoulds and  
5 shalls.

6 DR. HARDING: Okay, well then that would be  
7 fantastic. And perhaps we could at least get that to  
8 the communities. And I would withdraw the motion then.

9 DR. SEMERJIAN: Thank you. The motion on the table  
10 is withdrawn. Any other resolutions, motions? Dr.  
11 Rivest?

12 DR. RIVEST: Yes, I wanted to return to the issue  
13 of state-wide voter registration systems briefly and to  
14 say a few prefatory remarks and propose a motion. So  
15 the question I have is whether that's really within the  
16 scope of this committee or not, and if we look at the  
17 language of HAVA, it says --

18 UNIDENTIFIED INDIVIDUAL: Point of order, Mr.  
19 Chair. If that's an open question, could we perhaps get  
20 the opinion of counsel on it?

21 DR. RIVEST: If you wish. Basically my resolution  
22 was to clarify that by appeal to the EAC itself.

1 Whether that's within the scope and if so, what priority  
2 we should be giving it. We have a lot on our plate,  
3 too, and however you want to resolve this I'm happy with  
4 that. So the resolution is to seek clarification on  
5 this point by whatever means the committee feels best.  
6 I was proposed we seek it from the EAC directly, but if  
7 counsel prefer to do that too -- the language, just let  
8 me read the HAVA language. It says to support the  
9 (indiscernible) Voluntary Voting System Guidelines, and  
10 this part including, and then part A says including the  
11 computer networks, computer data storages, and voting  
12 systems, including the computerized list required under  
13 Section 303A.

14 DR. SEMERJIAN: Can we -- I'd rather get a ruling  
15 from EAC. Do we need a resolution, or can we  
16 (indiscernible)?

17 MS. DAVIDSON: We're willing to, you know, with you  
18 just asking us we're willing to have our counsel look at  
19 it and be able to give you an opinion.

20 DR. RIVEST: That would be great.

21 UNIDENTIFIED INDIVIDUAL: Okay.

22 MS. DAVIDSON: So we'll follow up with that.

1 DR. SEMERJIAN: All right. Any other motions?

2 (No audible response.)

3 DR. SEMERJIAN: Not hearing any --

4 UNIDENTIFIED INDIVIDUAL: (Indiscernible) adjourn.

5 DR. SEMERJIAN: Well before we adjourn, we need to  
6 decide on a date for the next full committee meeting. I  
7 think the proposed date is for early December, at least  
8 the December timeframe, to review the progress of the  
9 work tasks assigned to the NIST staff at this meeting.  
10 I believe you have all been provided a sheet which  
11 provides you with two choices within the same -- I think  
12 they are within the same weeks. Is that right? Yes.  
13 And will you please make sure that you have submitted  
14 that sheet with your preferences, either here to Alan  
15 Eustis or by email?

16 UNIDENTIFIED INDIVIDUAL: Why couldn't we do a show  
17 of hands right now?

18 UNIDENTIFIED INDIVIDUAL: We don't have everybody  
19 here.

20 DR. SEMERJIAN: Well, we're only missing two  
21 people, and they're on the phone.

22 MS. QUESENBERRY: I'm still waiting to find out if

1 I'm going to be in China that entire week.

2 UNIDENTIFIED INDIVIDUAL: Before we do that, I  
3 think there was a suggestion that I and a few others  
4 made to expand these to at least one and a half days,  
5 two days. So before (indiscernible).

6 DR. SEMERJIAN: Oh, this does (indiscernible) two  
7 days.

8 UNIDENTIFIED SPEAKER: -- just wanted to make sure  
9 everyone had agreed to the two-day thing, because I  
10 don't think it was discussed.

11 DR. SEMERJIAN: Well why don't we have a show of  
12 hands now just to get a feel, but this would not be a  
13 final decision and, you know, any of you that need to  
14 check your schedule and check on some major event, then  
15 we can --

16 UNIDENTIFIED SPEAKER: The dates are 4, 5 or 7, 8.

17 DR. WILLIAMS: 7, 8 is Thursday, Friday.

18 MS. QUESENBERRY: And Pearl Harbor Day.

19 DR. SEMERJIAN: And we know how Britt feels about  
20 Fridays.

21 MS. QUESENBERRY: I have no problems.

22 DR. HARDING: Well, Mr. Chairman, are we going to

1 deal with a day and a half, two days versus the one day  
2 first? Is that going to affect our decision?

3 DR. SEMERJIAN: Well my feeling is that a lot will  
4 be accomplished between now and December, and that we  
5 will have a lot of material. And even though we may  
6 send them to you, you know, three or four weeks in  
7 advance, it will still take a lot of discussion. I  
8 mean, I think today's proceedings is a perfect example,  
9 you know. These are important issues, people want to  
10 discuss them, and we certainly don't want to short trip  
11 the discussion. I think we ought to listen to all the  
12 concerns and the issues. So my suggestion is since  
13 we're not doing these every quarter, if we're going to  
14 have a meeting in December I would suggest that we count  
15 on two full days. If we finish a little early that's  
16 fine, but I think we should make the decision for the  
17 dates with that level of commitment in mind.

18 MR. CRAFT: Mr. Chairman, I hate to be difficult,  
19 but may I suggest perhaps the 5th and 6th --

20 UNIDENTIFIED SPEAKER: Can't do it on the 6th.  
21 There is no room available here on the 6th.

22 MR. CRAFT: How about another location then?

1 UNIDENTIFIED SPEAKER: We can't do it. Nobody can  
2 -- Jeffrey can't be here and you can't be here.

3 MR. CRAFT: How about in Atlanta or somewhere?

4 UNIDENTIFIED SPEAKER: It's a matter of  
5 availability of the Chair.

6 MR. CRAFT: Well I guess the reason I suggested  
7 that is we would be traveling on Monday rather than on  
8 the weekend, and we would not be trying to get out of  
9 the D.C. area on a Friday.

10 DR. SEMERJIAN: Well let me suggest something else.  
11 It's going to require preparation, yes -- did you check  
12 the week before?

13 UNIDENTIFIED SPEAKER: Yes, I did check the week  
14 before and Tom said the week before is out for the EAC.

15 DR. SEMERJIAN: Oh. Because the week before I  
16 guess is not good for EAC and the week after we have our  
17 own visiting committee. So both the Director and myself  
18 will be tied up. So --

19 MR. GALE: Mr. Chairman?

20 DR. SEMERJIAN: Yes.

21 MR. GALE: I don't know about the other election  
22 officials, but our canvassing board meets 30 days after



1 the election as do most canvassing boards. And the  
2 election officials are very tied up in the canvassing  
3 process. You may not have any election officials here  
4 in those two days, because I'm pretty sure from my  
5 staff's comment that I'll be at my election board  
6 meeting for two days.

7 DR. SEMERJIAN: Which two days?

8 MR. GALE: That was that Monday and Tuesday. Is  
9 that true, Alice?

10 UNIDENTIFIED SPEAKER: Yes, actually we would  
11 certify ours ten days after our election, so I'd be  
12 okay.

13 MR. GALE: You'd be all right. Okay.

14 DR. SEMERJIAN: Well, I mean, the other possibility  
15 is to go later because the week before the  
16 (indiscernible) we're into Thanksgiving, and then the  
17 week before, that's even closer to the elections. So, I  
18 mean, there is the possibility of the 19th and 20th. We  
19 haven't checked, I don't think, but --

20 UNIDENTIFIED SPEAKER: Well you'll get into the  
21 religious holidays.

22 DR. SEMERJIAN: I know. That's what I was going to

1 say, that that's getting very close to the holidays.

2 MR. GALE: It sounds like I'm the only one with the  
3 problem. I thought maybe all election officials might,  
4 so I'll withdraw my comment about that date.

5 DR. SEMERJIAN: Okay, let's see. The choices are  
6 4th and 5th, and then 7th and -- who are in favor of 4th  
7 and 5th, that is Monday and Tuesday? Only one vote?

8 DR. HARDING: J. R.

9 DR. SEMERJIAN: How about you, J. R., and Ms.  
10 Turner Buie? Are you on the phone?

11 MS. TURNER BUIE: I'm here, but I didn't hear the  
12 month. I keep hearing the date.

13 DR. SEMERJIAN: Oh, December 4th and 5th.

14 MS. TURNER BUIE: Oh.

15 DR. HARDING: I'm flexible. I'll go with whatever  
16 the group wants.

17 DR. SEMERJIAN: Okay. I didn't hear your vote, Ms.

18 --

19 MS. TURNER BUIE: The 4th and 5th are fine with me.

20 DR. SEMERJIAN: Okay.

21 MS. TURNER BUIE: All right?

22 DR. SEMERJIAN: And those who are in favor of 7th

1 and Friday?

2 (No audible response.)

3 DR. SEMERJIAN: I guess we have two votes for that.

4 So it looks like we'll be working towards the 4th and

5 5th, and unless there's some other major issue we'll

6 probably go with that date. And those who cannot be

7 here perhaps can be, you know, connected by phone.

8 Okay. Yes, Mr. Gannon?

9 MR. GANNON: Dr. Semerjian, it's Patrick Gannon.

10 If we are planning for the 4th and 5th, would it be

11 possible to consider starting, say, at 1 o'clock on the

12 Monday to allow at least those on the east coast a

13 chance to fly in that morning and (indiscernible)?

14 DR. SEMERJIAN: Yes, I was actually thinking

15 whether we can extend it into, start Tuesday and extend

16 into Wednesday morning. But the problem is, this is our

17 awards ceremony so this hall will be decorated and

18 everything. So I'm sure we will not be able to get in

19 Wednesday morning, but I think we can start Monday at

20 noon so you can fly in, and then maybe plan staying late

21 Tuesday.

22 UNIDENTIFIED SPEAKER: No (indiscernible) Monday.

1 DR. SEMERJIAN: Oh, well, that's a possibility. If  
2 you want to have a working session -- all right, well  
3 we'll look at those. I think we have an idea of how  
4 most people feel about this and about Fridays.

5 So let me close this session by expressing my  
6 appreciation for your participation today. And we look  
7 forward to continuing our work with you. I also want to  
8 thank all the NIST staff for their efforts to make this  
9 meeting a success. And we will stay in touch with you  
10 concerning the final scheduling of the date. And  
11 obviously there are several suggestions that we'll take  
12 into account regarding increased interaction among the  
13 TGDC members and the subcommittee activities.

14 So with that I thank all of you, and I adjourn this  
15 meeting of the Technical Guidelines Development  
16 Committee. Thank you very much.

17 (END OF AUDIOTAPE 5, SIDE A)

18 \* \* \* \* \*

19 (AUDIOTAPE 5, SIDE B - BLANK)

20 \* \* \* \* \*

21

22

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

CERTIFICATE OF AGENCY

I, Carol J. Schwartz, President of Carol J. Thomas Stenotype Reporting Services, Inc., do hereby certify we were authorized to transcribe the submitted cassette tapes, and that thereafter these proceedings were transcribed under our supervision, and I further certify that the forgoing transcription contains a full, true and correct transcription of the cassettes furnished, to the best of our ability.

---

CAROL J. SCHWARTZ  
PRESIDENT