

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

Meeting of the Panel on the Waste Management System

SPENT FUEL TRANSPORTATION

July 10, 2000

Shilo Inn
780 Lindsay Boulevard
Idaho Falls, Idaho 83402

NWTRB BOARD MEMBERS PRESENT

Mr. John W. Arendt, Panel and Meeting Chair
Dr. Daniel B. Bullen
Dr. Paul P. Craig
Dr. Richard R. Parizek
Dr. Norman Christensen

SENIOR PROFESSIONAL STAFF

Dr. Carl Di Bella
Dr. Daniel Metlay

NWTRB STAFF

Dr. William Barnard, Executive Director
Karyn Severson, Director, External Affairs
Linda Hiatt, Management Analyst
Linda Coultry, Staff Assistant

CONSULTANTS

Robert Luna

I N D E XPAGE NO.**Introductory Remarks**

John Arendt, Panel Chair and Meeting Chair
 Nuclear Waste Technical Review Board 4

OCRWM Update and DOE Transportation Protocols

Jim Carlson
 Office of Civilian Radioactive Waste Management. .
 6

Modal Study Update

Robert Lewis
 Nuclear Regulatory Commission 34

Update on Naval Spent Fuel Disposal Work

Don Doherty
 Naval Nuclear Propulsion Program 56

Update on Naval Spent Fuel Transportation

Ray English
 Naval Nuclear Propulsion Program 75

Human Factors in Railroad Operations

Chuck Dettmann
 Association of American Railroads. 95

Human Factors in Cask Manufacturing

Garrick Solovey
 Precision Components Corporation 116

**Railroad Performance Specification for
Transportation of Spent Fuel**

Robert Fronczak
 Association of American Railroads 148

**Views of States That May Be Affected by
Spent Fuel Transportation**

Jim Reed
 National Council of State Legislators. 161

**Nevada Issues Related to Transportation
of Spent Fuel**

Robert Halstead

State of Nevada. 177

I N D E X
(Cont.)

PAGE NO.

**Views of Affected Local Governments on
Spent Fuel Transportation**
Fred Dilger
Clark County, Nevada 202

Adjourn 211

1 P R O C E E D I N G S

2 ARENDT: I wonder if you could all take a seat,
3 please? And if you will excuse me for not standing, but I
4 can barely hobble around, so I'm going to try to do this
5 sitting down.

6 I will stand just for a moment, though, just so
7 you can see me.

8 I'm John Arendt. I'm Chair of the Waste System
9 Management Panel. I'm assisted here this morning, I'm
10 actually a chemical engineering consultant. My major
11 experience has been in the nuclear fuel cycle. I'm
12 assisted here this morning with Dan Bullen. Dan is
13 Director of the Nuclear Reactor Laboratory, and Associate
14 Professor of Mechanical Engineering, Department of
15 Mechanical Engineering at Iowa State University.

16 Norm Christensen. Norm is Professor of Ecology
17 and Dean of the Nicholas School of the Environment at Duke
18 University.

19 Paul Craig. Paul is Professor of Engineering
20 Emeritus at the University of California at Davis, and is
21 a member of the University's graduate group in Ecology.

22 Richard Parizek is a member of the Board, but is

1 not a member of the Panel. Richard is Professor of
2 Geology and Environmental Engineering at Penn State
3 University.

4 Deborah Knopman is a member of the Panel, but she
5 is unable to be with us this morning.

6 I'd now like to introduce members of the staff.
7 Carl Di Bella, who has played a key role in setting this
8 meeting up. Linda Hiatt and Linda Coultry, they are in
9 the back. Bill Barnard, who is Executive Director of the
10 NWTRB. Karyn Severson, who also played a role in setting
11 up this meeting. And Dan Metlay from the staff. And Bob
12 Luna is to my left. Bob is a consultant to the NWTRB for
13 this meeting.

14 A couple items that I'd like to mention. There
15 has been a time set aside, as you'll notice from the
16 agenda, at the end of the day, it starts at 5:10 p.m., and
17 this time of the day has been set aside for public
18 comments. And anyone here desiring to make public
19 comments should register in the rear, either with Linda
20 Hiatt or Linda Coultry, and depending on the number of
21 comments, we may have to set a time limit on the length of
22 the comments, but certainly your entire comment will be
23 included in the record. So we would like to get a copy of
24 it if it takes longer than five minutes. So your comments
25 really can be of any length, but we may only limit them to

1 five minutes oral comments.

2 We're also going to try to answer questions from
3 the audience, not after each of the speakers, but if you
4 have questions during the day, if you would give me a
5 written copy of the question, and if we have time, we will
6 attempt to have a Board member answer the question. I
7 won't make too many promises, but it will depend on the
8 time that we have available.

9 So let me repeat the most important thing is if
10 you want to make comments at the end of this meeting at
11 5:10 p.m., make sure that you register in the rear with
12 one of the Lindas.

13 I think we've got a very informative meeting
14 today. We have people who are very knowledgeable in the
15 various topics that are going to be discussed.

16 The first speaker that we have this morning is
17 Jim Carlson, James H. Carlson, who is the Acting Director,
18 Office of Acceptance, Transportation, and Integration with
19 the Office of Civilian Radioactive Waste Management,
20 Department of Energy. Jim?

21 CARLSON: Good morning, everyone. This is to remind
22 me who I am.

23 Thank you, John, for the introduction. It's a
24 pleasure to be here today and have the opportunity to talk
25 to the Board about a subject that actually hasn't been

1 covered for several years, since the program's been fairly
2 inactive.

3 Just by way of background, I have been with the
4 Office of Civilian Radioactive Waste Management since it
5 was formed when the Nuclear Waste Policy Act was passed.
6 Prior to that, I was in the Reactor Development Program
7 within the AEC. I've got I think it's over 30 years now
8 with the Department of Energy and its predecessor agencies
9 in the nuclear area.

10 And I guess within RW, I've been involved with
11 the monitored retrieval storage proposal, actually, the
12 original liaison with the Technical Review Board when it
13 was first established, the waste acceptance area, the
14 systems engineering area, and the transportation area.

15 What I thought I would cover today, just by way
16 of background, is a little bit about update on where the
17 transportation program is, both organizationally within
18 RW, a little bit of the overall program status, where the
19 budget sits, and what the transportation program outlook
20 looks in the near future.

21 Then the second area, Mr. Arendt asked me to talk
22 about the transportation protocols. I didn't feel I could
23 do that without a little bit of context with regard to a
24 couple other DOE transportation initiatives that have been
25 going on in Washington and with some of the field

1 involvement. This would be what we call the Senior
2 Executive Transportation Forum and the Transportation
3 External Coordination Working Group. But I will be
4 focusing on the protocols.

5 There have been several, I guess, recent changes
6 within the Office of Civilian Radioactive Waste Management
7 program, particularly with regard to the area that I work
8 in. The Office of Acceptance, Transportation, and
9 Integration is located in Washington. It is pretty much
10 the technical arm of the program that's located in
11 Washington. It consists of two divisions, Waste
12 Acceptance and Transportation Division, where that's my
13 job that I normally have as the Division Director, and the
14 Systems Engineering and International Programs Division,
15 which is headed up by Jeff Williams.

16 Dwight Shelor, who was the Director of the Office
17 of Acceptance, Transportation, and Integration, retired
18 about a month and a half ago, and I've been acting since
19 then. Within my division, there are two teams, the
20 Transportation Team, which the team leader, who is Bill
21 Lemischewski, retired about two and a half months ago, so
22 we're down to a two person staff, and I'm also acting as
23 the team leader in that capacity. We don't have a lot of
24 quantity, but we do have quality.

25 The Waste Acceptance Team is headed up by David

1 Zebranski. They're responsible for administering the
2 standard contract that we have with the utilities, with
3 managing the interface with the external parties whose
4 waste we need to receive. They're also very busy these
5 days doing litigation technical support, since we do have
6 all the ongoing lawsuits with the utilities.

7 I will mention one other individual that you
8 haven't met, Sandra Waisley. She's up in the front office
9 now as the Associate Chief Operating Officer. She's come
10 over from Fossil Programs in the Department of Energy.

11 And I also, although Cory will shoot me for it,
12 one of the Transportation Team, Corrine Manacaluso, who is
13 actually doing most of the work on the protocols effort
14 for RW, is with me here today.

15 Now, this is simply to illustrate where we are
16 and where it looks like we're headed with the
17 transportation at this time. Right now, and I'll mention
18 it in a few minutes, we've published a draft request for
19 proposals for Waste Acceptance and Transportation
20 Services, in fact, we've published two drafts. We expect
21 once we know where we're going, to reissue the draft for
22 one more round to address a few areas that are still open
23 in it, and to solicit another round of comments to make
24 sure we've got something that we think will work.

25 We expect to reissue, I'm not certain whether

1 we'll go out with another draft on our 180(c) notice of
2 policy and procedures. Section 180(c) is the requirement
3 in the Nuclear Waste Policy Act which directs the
4 Department of Energy to provide technical assistance and
5 funds to states and tribes for training public safety
6 official in whose jurisdictions we will be shipping.
7 We've gone out with several draft policies and procedures
8 on how we plan to implement that. We now have one that I
9 think is reasonably well received by the external
10 community.

11 It provides for a planning grant roughly five
12 years before we ship to the states of a fixed amount, so
13 they can actually do their planning and determine what
14 they need in the way of technical assistance and funds,
15 and then individual grants with a base amount to support
16 state level staff, and a variable amount to pay for the
17 actual costs of training along the routes. So that would
18 go out in a final form after we have a site to ship to,
19 and we can start working directly with the potentially
20 impacted states from a transportation perspective.

21 One other one that I will mention, since we're
22 out in Idaho, the Dry Transfer System Topical Safety
23 Analysis Report went to NRC a number of years ago. This
24 was a cooperative agreement that the Department got into
25 with the Sacramento Municipal Utility District to develop

1 a dry transfer capability to allow them to move spent fuel
2 from a dry storage cask into a transport cask without a
3 pool to do the transfer.

4 They did a cold mock-up here in Idaho of this.
5 This was done with SMUD and with EPRI. I don't know
6 whether that will be on your site tour, but it may be, so
7 I just thought I'd mention that one.

8 I think I've covered most of this. As I said, we
9 issued a revised draft request for proposals in end of
10 fiscal year '98. This is for waste acceptance and
11 transportation services.

12 I could describe a little bit the structure of
13 that proposal. We probably do have enough time. The
14 actual proposal divides the country into four regions that
15 correspond to the NRC regions, and requests bidders to
16 provide us bids to actually take care of all the waste
17 acceptance and transportation services within each region.
18 And this was structured this way to put in place and
19 almost create a competitive market to give the Department-
20 -basically trying to capture the values of a competitive
21 marketplace where you don't really have a major
22 competitive market for transportation of spent fuel.

23 The proposal is set up in three phases. The
24 first phase would be a fixed price where the proposers
25 would have two years to prepare a proposal. Then there's

1 a five year period for the acquisition of equipment.

2 During the planning phase, they would also work
3 with the utilities to come to agreement on which type of
4 equipment they would need, and to pin down a schedule
5 within the agreements and the contracts that the
6 Department has with the utilities. Then the actual
7 operations would start in 2010. It would be done
8 consistently with all of the regulatory requirements to
9 ensure that we did achieve safe shipments.

10 Also, the Department has identified within the
11 proposal that we would continue to be responsible for the
12 interactions with state and tribal governments, and that
13 we would retain the final approval of routing decisions
14 after working with the states.

15 So we've tried to combine what we are hearing
16 back from the states and tribes in our external relations
17 with trying to set up a market-based acquisition to give
18 the government the advantages that come with that sort of
19 an approach.

20 I mentioned the Section 180(c) policy and
21 procedures. That was also issued in late '98. Both of
22 these documents are on the RW Home Page and on the
23 website.

24 As I said previously, we will begin continue
25 working on those once we have a destination defined. And

1 in the meantime, we've limited our transportation
2 activities to the work being done on the Yucca Mountain
3 EIS, which is run out of the Yucca Mountain project office
4 in Las Vegas.

5 Participation in DOE transportation policy
6 development and protocols basically fits within that area.
7 Transfer existing canister and cask information, that
8 would include the dry storage technology that I mentioned,
9 also the burnup credit work that was being done, we've
10 basically turned that over to the private sector for them
11 to pursue actual applications for burnup credit within
12 their transportation cask designs. And to the extent
13 feasible, continuing to work with external groups, as we
14 can, with our staff and limited resources.

15 The 2001 budget, the Department requested, or the
16 Administration requested 437 million, which had a sharp
17 increase in the Waste Acceptance, Storage, and
18 Transportation area. I'll get into more detail on that in
19 a minute. Otherwise, the highest priority work and the
20 bulk of the funds continue to be allocated to the site
21 evaluations going out in Nevada, preparation of the site
22 recommendation and considerations report, site
23 recommendation and planning for the license application.

24 The four areas in the Waste Acceptance, Storage
25 and Transportation project, which is one part of the

1 Office of Acceptance, Transportation and Integration, has
2 three areas in our work break-down structures. We have
3 had no funds and no work going on in spent fuel storage
4 for several years. Transportation, we've request 1.8
5 million to restart planning, and what we would probably do
6 in that area, although there isn't agreement on it, would
7 be to re-look at the acquisition strategy in light of the
8 experience at Hanford with the vitrification plant cost
9 overruns, or the difference between the estimates and what
10 they came in with, and the pit mine experience here in
11 Idaho.

12 I personally would like to re-look at some of the
13 institutional provisions, the way we've handled them. We
14 still get a lot of comments from the states and the
15 external groups in that area.

16 The other one is we have a lot of detailed
17 planning to re-look at and redo if the site is selected
18 and we move forward in the 2002 time period.

19 The 1.8 million is only there if we end up with
20 437.5, because as I said, our priorities continue to be
21 qualifying the site. So at this point, the House has
22 given us a mark of 413. The Senate hasn't acted on our
23 request yet, but I would anticipate that there will not be
24 1.8 million for us to restart some of these things.

25 I mentioned some of the DOE initiatives. One of

1 them, which sort of oversees the others, is the Senior
2 Executive Transportation Forum. There has for years been
3 various attempts by the lead transportation police makers
4 within the federal system, not the appointees, but the
5 deputy assistant secretary level within the Environmental
6 Management Group. Dwight participated in it. There were
7 regular meetings or ad hoc meetings to try to keep abreast
8 of what was going on in the transportation area. The
9 Naval Reactor folks participated.

10 Secretary Pena came on board as the Secretary of
11 the Department of Transportation prior to coming to DOE.
12 He wanted to formalize the relationship with DOT, and he
13 had a couple of phone calls from governors that made him
14 unhappy about the way transportation's operations had been
15 conducted. So he basically established this group
16 formally.

17 The responsibilities of the group are to better
18 coordinate. This group does not have authorities that go
19 beyond what any of the representatives of the individual
20 programs do. It is, by charter, made up of the program
21 secretarial officers. Actually, the attendance and
22 participation tends to be the senior program managers who
23 are involved in transportation activities. This would be
24 the deputy assistant secretary level within other
25 programs. It was the office directors within the RW

1 program.

2 The actual makeup of the committee and the
3 representation at the meetings are the parts of the
4 Department that are actually shipping, Defense Programs,
5 Naval Reactors. Environmental Management, who is actually
6 probably doing more shipping than anyone, they are doing
7 the shipments to WIPP. They do the foreign fuel
8 shipments. They do low-level waste shipments from all of
9 their clean-up activities at the various sites.

10 The Office of Science does some shipment of
11 isotopes. The Defense Programs does national security
12 shipments. The Naval Reactors Program does spent fuel
13 shipments that I think Don Doherty will talk to you about,
14 or maybe Ray will talk about it.

15 The other groups, our office, who's planning to
16 ship, and also because of the scope of the actual
17 shipments we will be doing and our long involvement with
18 the states and regional groups, we tend to attract a lot
19 of attention, so we are fairly key players in this because
20 our policies do get either criticized very heavily by
21 various groups, or others pay a lot of attention to what
22 we're planning to do.

23 Materials Disposition is actually planning to do
24 some shipping with the uranium that's coming from
25 overseas, and plutonium. General Counsel is always there

1 to help us with what the law actually means. And because
2 of the public reaction to transportation, the
3 Intergovernmental and Public Affairs part of the
4 Department are actively involved in the council.

5 And DOT, as I mentioned, may participate.
6 They've come over for a couple meetings if there's
7 something going on where there's a feeling we need to have
8 DOT senior officials involved.

9 The initiatives that this group has been looking
10 at is the protocols, which are the main focus of what I'm
11 going to talk about today, if I don't run out of time.
12 There is a consolidated grant initiative that the
13 Department has been looking at. Just as RW has 180(c)
14 that says to provide funds and technical assistance to
15 states and tribes, the WIPP program and the Land
16 Withdrawal Act provided for either assistance in funds or
17 actual training.

18 The other programs under their general
19 authorities, under the Atomic Energy Act, have done
20 training along routes and have worked with states and
21 tribes to ensure that they're comfortable with the
22 shipments that come through, to ensure that there's
23 adequate emergency response training and coordination.

24 While the consolidated grant was an idea that's
25 been kicked around for quite a while and it's finally

1 getting some--actually being raised up to a decision-
2 making level within the department, as to whether all
3 these different diverse programs can effectively integrate
4 the grant process, pool the funds, and get a better
5 distribution of the fundings, and we don't end up having
6 different programs training the same groups, and other
7 groups that probably would benefit from the training not
8 being adequately resourced to accomplish it.

9 Now, the transportation protocols, and I probably
10 should have explained a little bit what that is when I
11 started, it is basically a documentation of our procedures
12 and practices that the Department of Energy uses in
13 shipping radioactive materials.

14 There's long been a concern expressed by state
15 representatives and other groups that the Department does
16 not work the same way for the various materials that they
17 ship, a lack of understanding between the various parties.
18 Any of us who have gone out and talked to legislative
19 bodies quickly learn that a true shipment to WIPP and a
20 spent fuel shipment and a movement of contaminated soil,
21 there isn't a real distinction in the eyes of the people
22 you're talking to. And I personally find I've focused on
23 RW for so long in spent fuel, I don't know a lot of the
24 key practices in some of these various areas. So it's
25 difficult for decision makers, policy makers, and

1 difficult for us in talking to them, you end up with a lot
2 of frustration, so this was partly being done to address
3 this, the document in one place, all the different
4 policies and practices that the Department of Energy uses
5 in its transportation of radioactive materials.

6 At the same time, the group is looking for areas
7 where we can standardize. We do have different field
8 offices. They all follow the regulations. They all
9 ensure that the shipments are being done safely. But they
10 each may do it a little bit differently. So we're trying
11 to look for standardization and for documentation of how
12 the Department will go along in its shipping and
13 transportation of radioactive materials.

14 What we did was we reviewed all of the current
15 practices and documented the regulations, how we each will
16 approach them. As I said, we will strive for uniformity
17 in approach. And we are trying to develop this
18 cooperatively with external parties who are interested in
19 transportation, and I'll talk a little bit about the
20 transportation and external coordination working group
21 later. But that has been the body that the Department has
22 been working with for the last ten years with
23 representatives of regional and national groups to help
24 get policy input on transportation.

25 As I mentioned, we went through and we reviewed

1 our current practices that are used by the different
2 programs to identify the baseline, where are we now. We
3 are sort of a unique agency from the standpoint that
4 different programs have different requirements.

5 RW probably stands out from a lot of the rest.
6 We have specific statutory language that requires us to
7 use NRC certified packages for any shipments to a
8 repository or monitored retrieval storage facility. We're
9 required to follow the NRC guidelines for pre-notification
10 of states and tribes with regard to our shipments. We
11 also have a requirement to use the private sector to the
12 maximum extent possible in doing our transportation.

13 The other parts of DOE are not bound to use NRC
14 certified containers. A number of them do in order to
15 have an independent body review, because of the public
16 concerns with regard to the adequacy of the packaging.
17 But under the Atomic Energy Act, DOE has authority to
18 certify shipping packages.

19 DOT regulations, I believe we are bound to use
20 those. Certainly in our case, in RW, we have made it a
21 policy that we will ship as the licensee. So we are not
22 only committed to the pre-notification, we are also
23 committed to follow all of the NRC safeguards requirements
24 and transportation-related requirements, which include
25 DOT. If you're going to ship under NRC regulations, you

1 abide by the DOT also.

2 There also are differences because of the
3 material types. Low level waste doesn't have the strict
4 routing requirements for the highway route control
5 quantities of radioactive materials, which spent fuel must
6 follow.

7 WIPP has identified routes. WIPP has put
8 together an extensive set of protocols. The WIPP program
9 implementation guide, or what is referred to as the WIPP-
10 PIG, which was jointly developed by the WIPP program and
11 the Environmental Management Group, and the--I think a
12 group put together by the Western Governors' Association,
13 they address a number of the areas that our broader DOT
14 protocols are going to address.

15 And lastly, we do include within the DOE family,
16 national defense and national security shipments, these
17 involving weapons, and the Navy shipments of spent fuel
18 fall under the national security provisions. And that
19 will affect protocols.

20 The areas that the protocols will address include
21 shipment pre-notification. In this case, the RW
22 requirements are pretty explicitly laid out under the NRC
23 regulations. DOE has different requirements. They're
24 generally similar, but they're a little bit different,
25 which we've tried to actually standardize in this area so

1 we look more alike as the NRC requirements.

2 Shipment planning information. What information
3 will we make available to states and tribes and parties,
4 and at what time before shipping. Routine protocols,
5 emergency notification, emergency response, operational
6 contingency, which would include safe havens, what you do
7 in case there is a delay in transport. Or excuse me,
8 operational contingencies is probably not safe havens.
9 Driver requirements, which flow down from the Department
10 of Transportation, hazardous material regulations.

11 Tracking. The WIPP program, the Waste Isolation
12 Pilot Plan, has used TransCom, which is a system developed
13 by DOE. I think it's now run out of Oak Ridge. We have
14 committed to using that system within our RFP, our
15 acquisition strategy. Inspections, recovery and clean-up.
16 Anyway, there are 14 specific areas that will be covered
17 by the protocols.

18 I mentioned the transportation external
19 coordination working group, which are the stakeholders
20 that we are working with, or providing early drafts of
21 protocols and working with on the review. This is an
22 organization made up of national and regional groups
23 representing states, tribes, local governments, industry.
24 A number of the speakers today actually attend the TEC
25 working group meetings on a regular basis. It is jointly

1 chaired by Environmental Management and Radioactive Waste.
2 I have had the dubious honor of being a co-chair for a
3 number of years.

4 A lot of the emphasis has been on the emergency
5 response area and training. We have the Conference of
6 Radiation Control Program Directors are a member, the
7 emergency nurses, they've done a lot of work on trying to
8 define what the appropriate level of training will be for
9 emergencies involving radioactive waste shipments.

10 The rail people, Bob Fronczak is going to speak
11 later today, attends the meetings regularly. The Naval
12 Reactors attend. Although they are not members, the
13 Department of Transportation usually is represented by the
14 Federal Rail Administration, the Highway Safety people and
15 the Research and Special Programs Administration, and as
16 you can see, a host of others representing various
17 interests who will in one way or another be involved in
18 our shipments. The nuclear industry, through NEI usually
19 attends at the meetings, and utility people will attend.

20 I was going to mention generally the TEC as a
21 body meets twice a year with representatives from those
22 groups. DOE has cooperative agreements with most of those
23 groups so that we can provide them funds so they can
24 attend the meetings. They generally work by smaller
25 groups, or working groups, break-out sessions, and they've

1 addressed such topics as rail safety, training in general.
2 Medical training is actually a separate activity.
3 They've done work on routing, recommendations with regard
4 to how the Department should approach routing. And right
5 now, they are doing a lot of work in protocol areas.

6 14 have been released to this subset of the TEC
7 working group. They've provided comments. The writing
8 group within the Department who's developing the protocols
9 have been reacting to these comments and trying to see how
10 we can accommodate them, where we feel we can.

11 One protocol is still under development, and
12 actually I think that one is being incorporated into two
13 other protocols. So those two bullets basically are
14 identifying the same one. This has been a communication
15 protocol, and I think we're looking at it more being
16 incorporated into the pre-notification and letting people
17 know what's coming up, and in operational contingencies,
18 or emergency response area where it will talk about the
19 communication activities that need to take place.

20 All of them have been completed in a preliminary
21 draft form. The goal was to get them done by June. The
22 writing group, which two of the members are actually here
23 today, have been working long hours. This has been a
24 pretty monumental undertaking by the Department. I think
25 I was actually surprised when they took it on and how well

1 they've been able to do with it. The goal is to complete
2 the review by the end of the summer, and to begin
3 implementation by the end of the calendar year.

4 The one area that we have to identify as a
5 Department, or deal with now, is what do we do with this
6 fairly healthy document describing all these policies and
7 procedures at the end, and their consideration anything
8 from guidelines on up to rulemaking. It looks like we'll
9 be somewhere in the middle, probably in the DOE order type
10 range, which is binding on the programs, but has a chance
11 of being implemented in a reasonable time frame.

12 And basically this is just a short summary of
13 what the protocol initiative is and why we think it's a
14 good idea.

15 That's it, sir.

16 ARENDT: Okay, thank you very much. Questions from
17 the Panel members? Dan?

18 BULLEN: Bullen, Board. You shows us your budget and
19 mentioned that if you didn't get the requested amount, the
20 1.8 million for restart would essentially not be there
21 this year. If you don't get the funding, will you have
22 the capability to implement a transportation system in a
23 timely enough manner to meet the 2010 transportation time?
24 And what will the problems be?

25 CARLSON: Yes, we would. I mean, it is ten years

1 off, albeit 2001 budget gets us closer. I think I'll be
2 able to get something to get started on, some of those
3 areas where I felt we needed to do additional work. I
4 personally see more problems in staffing up, because it's
5 a relatively specialized area, the retirements, I'm not
6 going to be around that much longer. As I said, I've got
7 more than 30 years now and I'm old enough, and it's not
8 fun a lot of the time.

9 I think that the total time period gives us
10 enough. I mean, the whole program schedule is tied to
11 resources. So I don't think it will be a problem getting
12 it done. It would be nice to have more time to approach
13 it in a more disciplined manner.

14 BULLEN: Bullen, Board. Just a little followup
15 question. If legislation passes and there's
16 transportation to an interim storage facility at Yucca
17 Mountain earlier than 2010, does that pose a more
18 significant problem, or a bigger challenge?

19 CARLSON: A much bigger challenger. I mean, we
20 originally did our planning with one year for the
21 preparation of the planning on the proposals and four
22 years for the acquisition of equipment. So we have plans
23 that have compressed it down to five years. Comments
24 we've received back from potential interested parties have
25 said that would be a very challenging schedule.

1 Now, the actual cask fabrication and acquisition,
2 the ramp-up in the shipping starts out with 400 a year.
3 If you have a rail cask that can handle close to ten tons,
4 and you can move it, you know, six times a year, you can
5 move 60 tons per cask, so you aren't talking a huge fleet
6 on the ramp-up. So it's not as foreboding as a lot of
7 people portray it, but there's an awful lot of work with
8 states and routes and training, and just going out, the
9 public education process, which I don't even show on here,
10 but I personally think is going to be a major initiative
11 that we're going to have to do along the routes to let the
12 people know what it is, let them know why we feel it is
13 safe and can be moved safely. So it would be very
14 challenging, a very daunting challenge, but I think it's
15 doable, and that's why I'll retire.

16 ARENDT: Other questions from the Panel members?
17 Norm?

18 CHRISTENSEN: Christensen, Board. Probably one of
19 the things that makes your position perhaps not as much
20 fun, but I'm just curious about the--you mentioned the
21 dialogue with the states and tribes. Does that primarily
22 happen in the context of the external--

23 CARLSON: The TEC working group?

24 CHRISTENSEN: Yeah.

25 CARLSON: Yes and no. Since mid-1980, in fact,

1 shortly after the program started, actually the Waste Act
2 that we work under was designed by and large by the
3 National Governors' Association. So there had been
4 interactions going on prior to the passage of the Waste
5 Act with the Governors' groups. I mean, spent fuel,
6 nuclear waste, is a very politically sensitive issue, as
7 you all well know, or you wouldn't be here. So there's
8 been an interest. The governors have been involved.

9 Shortly after it passed, our office set up a
10 number of regional groups, because we didn't feel, without
11 knowing exactly where we're shipping, that we would
12 benefit from working with each state independently. So we
13 ended up looking, the Western Governors' Association
14 already had grants and was working with WIPP. We actually
15 went to the Western Interstate Energy Board, which was
16 more of a technical and less a policy oriented group.
17 Southern States Energy Board, Midwest Council of State
18 Governments, we set up cooperative agreements with each of
19 these groups in the mid Eighties.

20 We later added the Northeast group of the Council
21 of State Governments. And we fund them to provide
22 information on the program. Now, since our budget has
23 gone down and EM has been more active in transportation,
24 they've continued to fund these groups. We still have
25 liaison with them, and that's where I said we try to

1 participate in the meetings to the extent we can.

2 They provide staff who maintain an awareness of
3 our program, and provides two volunteer members of the
4 various states who are on the boards. Generally, there
5 will be elected officials. Radiation program directors
6 tend to be very involved in the activities of the regional
7 groups because they're the ones who are most directly
8 impacted in the training and the safe shipment.

9 So we have direct contacts with the states
10 through that forum, and those groups are also represented
11 on the TEC and we pay them to have their representative,
12 and usually it's their chair will attend the TEC meetings.

13 In the tribal area, we work with the National
14 Conference of American Indians, who we have had a grant
15 with for--or a cooperative agreement for an equal amount
16 of time, where we count on time to disseminate information
17 about the program. They've set up a high level waste
18 tribal council that includes governors, tribal chiefs and
19 senior tribal members from a number of the tribes.
20 Generally, they tend to be the tribes that are around the
21 DOE sites where they're more familiar with the operations
22 and what we're dealing with.

23 We've been trying to come up with ways to get
24 broader expanse, because transportation is national rather
25 than that localized. But we do have other ways and we're

1 dealing with them. The TEC provides the more central
2 places where they all come together.

3 ARENDT: Other questions?

4 CHRISTENSEN: Let me ask one more, John, and this
5 really relates to something that I think in our last
6 meeting a couple years ago, came up in a discussion, and
7 you mentioned it somewhat briefly, having to do with the
8 competitive private sector initiative, and the status of
9 that. At the time, that was sort of--this was a couple
10 years ago I think when the Panel met. Can you say a
11 little bit more about where that is at this moment?

12 CARLSON: At this moment, it's on the shelf, is
13 probably the best way to describe it. First, we issued a
14 statement of work. Then we issued a draft RFP. Then we
15 issued a revised draft RFP, and that was the one that was
16 issued at the end of fiscal '98.

17 That is still the approach that we plan to use to
18 acquire our Waste Acceptance and Transportation Services.
19 As I mentioned, I think we need to re-look at it, because
20 of what happened with the vitrification activity in
21 Hanford, the significant cost increases, to make sure that
22 basically we learn from the lessons, if there are obvious
23 lessons to learn there.

24 It still has some provisions in it, actually in
25 the funding area, where I believe it probably puts too

1 much of the risk with the bidders on this one rather than
2 the government assuming it, because of the, I'll call them
3 political uncertainties, or institutional uncertainties,
4 associated with starting up this transportation program.
5 There's a lot of uncertainty with regard to whether we can
6 meet the schedules. And to ask the private sector to
7 assume that risk would lead to exorbitant costs. So we've
8 got to find a way to balance it so there's enough to get a
9 good deal for the government, so there is competition and
10 we don't end up buying a lot of stuff we don't need, but
11 not so much to where the price will just make it look like
12 what happened at Hanford.

13 CHRISTENSEN: This is an area, though, where that
14 risk issue will be important because public confidence
15 will be so critical as well. Aren't you balancing that?

16 CARLSON: Yeah, I'm not sure how you get around it,
17 to be honest with you. It's going to be a challenge, and
18 the individual on the staff who is the lead on that is one
19 of the folks who retired, which makes it an even bigger
20 challenge.

21 If any of you would like to take on that
22 challenge?

23 ARENDT: Any other questions? Richard?

24 PARIZEK: Yes, Parizek, Board. How does the shipment
25 of fuel to nuclear power plants differ from a least

1 spent fuel shipment out to some repository site? Or is
2 there transferrable information from years of the one
3 experience?

4 CARLSON: The big difference is the fresh fuel is not
5 particularly radioactive, so you don't have the
6 requirement for a great deal of shielding. It does have
7 similar criticality problems, but the packaging is
8 significantly different, and the radiation hazard is not
9 there for the fresh fuel going out to the plants.

10 PARIZEK: But all of the transportation routes--

11 CARLSON: No, they don't require--I mean, the routing
12 for spent fuel, which is classified as Highway Route
13 Control Quantities, is under DOT regulations, follows
14 interstates or bypasses or alternative routes designated
15 by the state. Since there isn't the radiation in the
16 fresh fuel, it's not subject to those requirements.

17 ARENDT: Dan?

18 BULLEN: Bullen, Board. Just a little followup on
19 the waste acceptance criteria. If burnup credit is going
20 to be taken for transportation as well as for disposal,
21 particularly for the closed containers that are already in
22 dry storage, and the NRC looks like they want to have some
23 sort of measurement from each of the assemblies, who is
24 responsible for the documentation and the obtaining of
25 that information? Is it going to be done at the plant?

1 Will the responsibility be done by the shipper, because he
2 has to have burnup credit to take the shipment? Or will
3 it be DOE at the site?

4 CARLSON: For disposal, if you didn't have good
5 records--this is going to be a complicated answer because
6 I'm not that sure on it--but right now, I would expect
7 we'll have to repackage. The storage containers are
8 significantly larger than what we're looking at in waste
9 packages. So repackaging at the site, you'd probably do
10 burnup measurements there.

11 If you needed to do them for storage at a reactor
12 site, that would certainly be the utility's
13 responsibility. The actual loading of transportation
14 casks under the division of responsibility defined in the
15 standard contract is with the utility. So if there was a
16 requirement to do some measurement, it would probably be
17 on their nickel. And basically, they want to be
18 responsible inside their gate. They don't want to have
19 another entity coming in and doing something that's liable
20 to mess up their operation.

21 ARENDR: Paul, did you have a question?

22 CRAIG: Yeah, Craig, Board. As the fuel remains in
23 these dry casks for long periods of them, and we now have
24 some that is in dry casks, you mentioned SMUD which has
25 such a facility, there may be deterioration within those

1 casks, and as the reactors are shut down and the
2 commercial firms lose the capability, the technical
3 capabilities, SMUD is an example, has almost none at this
4 point, who is going to bear the responsibility of looking
5 at possible deterioration and handling the transfer of
6 possibly damaged material?

7 CARLSON: Is this prior to transport are you talking
8 about, or after it gets to the repository?

9 CRAIG: Well, I'm thinking specifically, since you
10 mentioned SMUD, there is a dry storage facility, and it's
11 possible there will be deterioration of the material
12 inside those casks. Somebody is going to have to take
13 those casks, decide whether they can be transported,
14 possibly do a transfer. Where does the responsibility lie
15 and where does the technical capability exist for doing
16 that analysis and for handling the transfer, should it be
17 necessary? Is that DOE or SMUD?

18 CARLSON: Well, right now, the canisters that they're
19 putting them in are certified for transport. If they're
20 certified for transport and we can take them, we will. If
21 there's a problem, then it will probably be the lawyers
22 who decide where it sits. I haven't heard that addressed,
23 to be honest with you, because I think the expectation is
24 if it's NRC certified for safe transport, we will provide
25 the transport casks to take it. If it requires being,

1 because of a problem with deterioration, I really don't
2 know. I mean, my gut reaction would be the utilities, but
3 I wouldn't want to be particularly quoted on that. I'm
4 sure they'll help us make the decision.

5 ARENDT: I think we'll have to end this. Thank you
6 very much, Jim.

7 CARLSON: Okay. I will be around all day, all night
8 actually, so if there's more, and if anybody wants to help
9 you with the procurement.

10 ARENDT: And, Paul, John Kessler I think can help
11 respond to your questions. Maybe catch him during a
12 break, or something.

13 Thank you very much, Jim.

14 Our next speaker is Robert Lewis from the Spent
15 Fuel Project Office, the Office of Nuclear Material Safety
16 and Safeguards from the NRC. His subject is Modal Study
17 Update.

18 LEWIS: Well, good morning. I'd like to thank the
19 Board for the opportunity to make this presentation. It's
20 very timely in terms of some significant progress we've
21 made in two risk studies that we're performing.

22 I'm Robert Lewis, and as Mr. Arendt said, I work
23 for the Spent Fuel Project Office. We're the entity at
24 NRC that has the responsibility for storage, dry storage
25 and wet storage, if it's away from a reactor, of spent

1 fuel prior to disposal. We also have the responsibility
2 for transportation of all radioactive materials, and we're
3 the lead agency for both of those matters.

4 I'm a nuclear engineer and criticality specialist
5 by training. But currently, I'm a project manager for
6 package performance study, which will look at the risk of
7 spent fuel transportation, and I'll get into that in a lot
8 more detail in a moment. But our role for spent fuel
9 transportation at NRC is clearly specified in the Atomic
10 Energy Act. We certify casks. We look at Quality
11 assurance programs for the manufacture and use of those
12 casks. We do inspections, as well as approve the programs
13 themselves. We evaluate physical protection as part of
14 our security function.

15 However, with respect to shipments to Yucca
16 Mountain of DOE owned material, our role is very clearly
17 specified in the Nuclear Waste Policy Act, that DOE will
18 use certified NRC casks, and DOE will abide by our advance
19 notification procedures, which are part of our physical
20 protection requirements in 10 CFR, Part 73.

21 I don't have a specific slide about our role, but
22 I do have slides on the rest of these topics. I want to
23 briefly talk about the cask performance standards.
24 Everybody is probably familiar with them, but I just want
25 to make a couple points about those. I want to talk about

1 transportation studies we've done and are doing, and I
2 want to talk specifically about one that we're doing, the
3 package performance study, and just introduce it, talk
4 about where we want to go with it, and what we believe it
5 can do for us.

6 I believe the slides are in random order, so the
7 talk will also be in random order. In terms of the cask
8 performance standards that we have, these are set out in
9 our regulations. Everybody has heard of these. The
10 points I wanted to make about these, though, is that all
11 the risk studies we've done have used these as the
12 starting point, and the package performance study, the one
13 that we're just starting, will also use these as a
14 starting point.

15 We're not questioning the validity of continued
16 use of these standards. We believe they've been
17 historically developed and they've served their function
18 very well. Over the last 30 years, there's been 1,300
19 spent fuel shipments in NRC certified casks.

20 The other point I wanted to make was that in
21 terms of spent fuel, the way that these are reviewed is
22 done usually by analysis only. There could be some
23 testing done of the impact collimator. We reserved the
24 right to require testing if it's necessary, but we haven't
25 found it to be necessary for spent fuel casks. The

1 analyses that have been done and the conservatisms that
2 have been built into the analysis and the applicant's
3 views, has been adequate.

4 Smaller packages are usually tested, like
5 radiography cameras. Those are usually tested rather than
6 done by analysis, just because--primarily I guess because
7 of the costs involved. So, once again, we're not in any
8 of the risk studies I'm talking about, we're not trying to
9 challenge or change any of these requirements.

10 We have, in terms of transportation risk studies,
11 we've completed four major studies in the last 25 or so
12 years. The first study is the most significant, and that
13 serves as the basis for all future studies, and the basis,
14 in fact, for all future environmental impact statements,
15 such as the environmental impact statement that was done
16 for Yucca Mountain and also for the private fuel storage
17 facility were primarily based upon the methodology that
18 was initiated in NUREG-0170. I have a slide on each of
19 these studies, by the way.

20 An important thing to note is that NUREG-0170 not
21 only looked at spent fuel, but looked at all
22 transportation of all radioactive materials, and the rest
23 of the studies only look at spent fuel.

24 In 1982, based upon NUREG-0170, the Commission,
25 meaning the five commissioners, made a finding that the

1 current regulations were adequate to provide for public
2 health and safety protection, but that prudence would
3 dictate continuing and ongoing close review as new tools
4 become available, and the rest of the study is what we've
5 been doing ever since, reconfirming the 0170 study.

6 0170, 1977, that was the first comprehensive look
7 at radioactive materials transportation. It's used by
8 both NRC and the DOT as the environmental statement that's
9 the basis behind the regulations that we have. Spent fuel
10 was only one of 25 materials that were studied. Some of
11 the important assumptions that occurred back then were a
12 reprocessing economy was anticipated, so we were shipping
13 90 day cooled fuel, much more hazardous in terms of its
14 radioactivity, as compared to the fuel that has been
15 stored.

16 There's a very simple accident release used,
17 because the tools weren't available to do finite element
18 analysis and try to calculate using computers or a
19 prediction of what could be released in an accident. So
20 they used a very simple engineering judgment approach.

21 Another important assumption was that they
22 estimated a total of about 2,000 shipments a year. 1,500
23 or so were rail, and that was the estimate predicting
24 forward to 1985. Based upon those estimates, they got
25 those person-rem doses, 565 person-rem, 298 person-rem.

1 One thing to note is that those are risks that
2 were found to be acceptable in 1982 by the Commission, but
3 those are risks that were never realized because the
4 shipments didn't happen.

5 In the 1980s when the West Valley facility closed
6 down, there were several shipments of spent fuel being
7 returned to the nuclear power plants, and questions came
8 up, I mentioned the accident release models that were used
9 in NUREG-0170, questions came up about those. And in
10 response, we sponsored the Modal Study, which was
11 performed at Lawrence Livermore Labs.

12 The goal there was to do computer analysis of
13 spent fuel casks response, and the methodology they used
14 was to look at the streams that were created by impacts in
15 thermal forces on the cask wall, interior of the cask
16 wall. It did not attempt to model the lid region. The
17 goal, of course, is to relate a cask that is minimally
18 acceptable under Part 71 to the forces that could be
19 created in real transportation accidents, based upon data
20 that existed on the probabilities of those accidents.

21 There's a lot of engineering analysis involved in
22 translating an accident to the forces that are created in
23 that accident, and that's all explained in the Modal Study
24 how they did that.

25 Another thing that it did was it took some sample

1 cases, like very severe historical accidents, Livingston
2 Training fire, the Caldecott Tunnel fire, and postulated
3 what would have happened had a spent fuel cask been in
4 those accidents. And the results there were very
5 favorable, and those case studies turned out to be very
6 useful, we believe.

7 The answer was that the risks that they predicted
8 in 1987 using the better analysis tool were approximately
9 a factor of three lower than the risks that were predicted
10 in NUREG-0170, but once again were never realized.
11 Therefore, it confirmed the adequacy of the environmental
12 statement.

13 The Modal Study is summarized in this blue
14 brochure that NRC hands out quite often. I didn't bring
15 any copies today, but if you want one, just let me know
16 and I can mail you one of those.

17 About 1996, there was a lot of talk about multi-
18 purpose casks and dual purpose casks and increasing the
19 payload and so on, and NRC sat down and said, well, what
20 should we do? Do the original assumptions in 0170 and the
21 Modal Study still hold for those new types of containers
22 and new types of shipment? Remember, 0170 was the
23 reprocessing economy and now we're shipping older fuel,
24 and we're shipping it across the country instead of to
25 repository sites, shipping across the country.

1 ARENDDT: If you all have the agenda before you,
2 Robert Holden, who was going to speak at 11:10, was unable
3 to get here. So we will not hear from him this morning,
4 so what we're going to do is we're going to continue the
5 program and see how far we get. We'll maybe allow a
6 little more time for questions and take that time. So
7 we're going to play that by ear.

8 You can continue, Robert.

9 LEWIS: That was a good place to break, actually,
10 because we finished up talking about the past studies, and
11 now I'm talking about what's going on right now.

12 There's two studies going on right now. There's
13 one called the reexamination of spent nuclear fuel
14 estimates. The next slide is the other, it's the package
15 performance study.

16 Like I said, in 1996, there was new technology,
17 cask technologies, meaning dual purpose casks coming in
18 for review, beginning to come in for review. There were
19 different assumptions regarding the fuel, and there was a
20 potential for a near term large shipping campaign. So we
21 started these two studies in--started conceiving them in
22 1996. This one actually started in late '96 or early '97,
23 and the package performance study started last year.

24 The goal of the reexamination of risk estimates
25 was to assess the risk of shipping spent fuel only to

1 either storage sites or a repository using currently
2 available means by analysis only, computer analysis only.

3 We used RADTRAN 5 code to do this. It's a
4 generic study, in that it looked at the routes over the
5 whole country. It looked at incident-free risk as well as
6 accident risk. And its conclusions were that the risks
7 using the new assumptions and new techniques, they showed
8 that the risk was in the Modal Study in 0170 was
9 conservatively calculated. So, once again, this study is
10 validating 0170 by showing that using the newer abilities
11 we have, the risk is actually smaller than we originally
12 predicted.

13 The report itself is--I only brought one copy, to
14 save on my baggage--but it's also published on CD. The CD
15 happens to have Volume II, which is a lot of the
16 explanatory material of how the calculations were actually
17 done. There is no Volume II in hard copy because it has
18 color figures in it and it would have been cost
19 prohibitive to produce a NUREG report in color.

20 A plain English compliment to this technical
21 report is in development, and that will be about a 30 page
22 document fashioned after the plain English version of the
23 Modal Study. That was recently mailed in draft to the
24 mailing list for the package performance study, which I'll
25 get to in a moment, but it's about 300 people. Anybody

1 that's ever shown an interest in these new projects that
2 we're doing, we mail the hard copy to them, and it was
3 Attachment 2 to that hard copy to that mailing.

4 Package Performance Study has been called Modal
5 Study 2, and it's probably not really appropriate. I'm
6 the guilty party for that. But we're not redoing the
7 Modal Study. We still believe in what the Modal Study
8 results were and the methodology. In fact, we're trying
9 to build upon the Modal Study results as well as build
10 upon the 2000 reexamination study results to further the
11 knowledge of the adequacy of our regulatory approach.

12 The Package Performance Study will only look at
13 spent fuel. It will look at both truck and rail packages.
14 It will assess severe accidents. So this is how it got
15 the name Modal Study 2, because we're not looking at
16 incident-free transportation anymore, but we are looking
17 at severe accident risks, how the cask performs in those
18 severe accidents, as well as how the fuel performs in
19 those severe accidents, because the assumptions in that
20 area are two of the harder parts of doing the Modal Study
21 and the 2000 reexamination study. So we want to make sure
22 that we have done all we can to understand that
23 phenomenon.

24 One thing that's different about Package
25 Performance Study is it will consider the need for

1 physical testing. All the previous risk studies have only
2 looked at analysis. No testing has been done to support
3 them. We haven't decided the nature of the testing. I
4 think we know what our goals would be in doing the
5 testing. It's not just a demonstration. I'll get to that
6 in a moment. But we haven't decided if full scale testing
7 or scale testing would be necessary to support the goals.

8 And one unique thing about--well, not unique
9 anymore--but one thing about Package Performance Study
10 that hasn't been used in previous transportation risk
11 studies is using this enhanced public participatory
12 approach, not only in trying to get peer review of the
13 results of the study, but in trying to define what should
14 be done in the study itself. So we've had meetings.

15 Actually, the next slide I'll talk about the
16 public interactions we've had in two more slides, but just
17 keep in mind until then that we are using this enhanced
18 approach, which is--a lot of agency efforts are doing
19 this. This is the first time we've tried to use it in
20 transportation.

21 Why are we doing this? Well, I came up with
22 these reasons. Risk insights, we have better modeling
23 tools available to us. We have the potential funding to
24 do a test if we need to. So we believe that if we fashion
25 that modeling and testing appropriately, we can get some

1 risk insights to focus our cask reviewers on the important
2 aspects of cask design, and also to focus our risk studies
3 on the important aspects of cask design, future, any
4 future risk studies we might do.

5 Once again, this all started because of the dual
6 purpose casks that we now have. Several have been
7 approved. We know the designs now. Timing-wise, some of
8 the designs that are being approved now are predicted to
9 be used for Yucca Mountain. That's a situation that
10 hasn't existed in the past really. There's potential, of
11 course, for a large shipping campaign, whether it be to
12 Yucca Mountain, if it's licensed, or whether it be to the
13 private fuel storage facility, or some other interim
14 storage.

15 Age of data of the previous efforts is an
16 important factor that started all this. Some of the
17 accident rate information, some of the accident sequence
18 information that's in the Modal Study was outdated,
19 especially for rail. Outdated doesn't mean it's
20 necessarily bad, but we want to confirm that it's still
21 useful. We have the ability to work with Federal Railroad
22 Administration in the transportation study to get some of
23 that better data. So we're going to take advantage of
24 that opportunity.

25 Consistency with NRC performance goals and

1 Commission direction. There's a real recent effort in the
2 Commission to develop a strategic plan with performance
3 goals. These are the four performance goals that are
4 trying to be applied to everything the Commission does
5 these days. This study happens to fit well with all these
6 goals, probably as well as any other activity we're doing
7 right now. Maintain safety. Of course we want to
8 make sure the assumptions we have in our risk assessments
9 are appropriate. Increase public confidence. We can do
10 that by helping the public design the study and helping
11 solve some of the questions they may have about spent fuel
12 transportation. Reduce unnecessary regulatory burden.
13 The key word here is unnecessary, because as our former
14 chairman used to say, all regulations have a burden. But
15 we want to reduce the unnecessary burdens and maintain the
16 safety at the same time.

17 Burnup credit might be an example in that area,
18 allowing burnup credit. We previously, for criticality
19 analysis, have assumed fresh fuel, optimum moderation.
20 Those are conditions which physically don't exist in any
21 transportation accident. Maybe we can do something there,
22 and that's been an ongoing effort actually way before
23 these performance goals were developed.

24 Make our decisions more effective, efficient and
25 realistic. That's kind of the catch-all, but it's

1 supported by the other three.

2 As far as what we're doing to increase public
3 confidence in spent fuel, in our regulatory approach, and
4 in spent fuel safety in general, in the Package
5 Performance Study, you can't see this address, but it's on
6 the handout, we have established an interactive website.
7 We have opportunity there, a forum to provide questions on
8 the products we develop, and upon just general questions
9 that might be incorporated into our testing plans or
10 analysis plans. It's been relatively successful actually.
11 There's been a lot of people submitted comments on the
12 website maintained by Sandia National Lab.

13 We went out, when we first started this study, we
14 went out and said we want to do a scoping study.
15 Industry, the public, the affected governments, state
16 organizations, for example, tell us what your concerns are
17 about spent fuel, and we'll try to wrap those concerns
18 into our scoping study and propose options to resolve
19 them. We've done that. We have just finished that in
20 June, and mailed it out along with the summary document,
21 the public document on the reexamination study both went
22 out under the same cover letter. And we're going to go
23 back out August 15th in Las Vegas at the Tropicana Hotel,
24 and August 16th at the Mountain View Casino and Bowl in
25 Pahrump.

1 We are presenting the findings of the scoping
2 report, asking if we really have effectively understood
3 the public concerns, incorporated them into the options
4 that could lead us forward, and any other general issues
5 that may not have been covered could also be addressed,
6 such as the reexamination report didn't get any public
7 comment period, but we are sending the summary out. And
8 at these meetings, we'll be ready to talk about that as
9 well.

10 Follow-on workshop in Rockville, Maryland to get
11 the D.C. government types; Las Vegas workshop to get the
12 state governments out there and county governments out
13 there, trying to capture as broad a perspective as we can
14 on where to go from here.

15 We are maintaining a mailing list of interested
16 people. Like I said, this is 360-some names at this
17 point. We mailed this scoping report results and the
18 summary report on the reexamination to the entire mailing
19 list just last week. So if you haven't got it, a lot of
20 people in this room will probably have it in their mailbox
21 when they get back.

22 Where we are today. We have a contract with
23 Sandia Labs to do this study. We picked Sandia because of
24 the testing facilities that they had, should we choose to
25 do a test. We're leading down the path that testing is

1 inevitable, some form of testing will be useful. So
2 staying with Sandia is good in that respect.

3 The scoping study was to collect public views, to
4 perform literature search, and to produce options and
5 recommendations for follow-on research. As I said, that
6 was just mailed in June, and we're having meetings in
7 August, and if you don't have the opportunity to attend
8 those meetings, we are also accepting comments on the
9 website from those studies, and also you could just mail
10 it to NRC as well.

11 I'll talk a little bit about the results of the
12 issues report. And this is the last slide I have. The
13 issues report had four areas that said this is the best
14 places that Sandia believes could further the
15 reexamination study results, further the Modal Study
16 results, and those four areas are to verify cask modeling
17 through analysis and impact and/or fire tests. Now, the
18 nature of NUREG-6672, this reexamination study that was
19 just done by analysis, it had 40, maybe 41 different
20 accident environments that each cask had to be evaluated
21 for. Because of computer time, those evaluations required
22 less than fully detailed finite element mesh in each
23 environment.

24 The goal here would be to verify the use of that
25 conceptual model by doing a very detailed finite element

1 calculation for a particular cask, comparing that detailed
2 evaluation to the generic casks, and the less detailed
3 finite element mesh that's used on those generic casks
4 from the reexamination, provide that verification. And
5 I'd go a step further and provide verification by doing a
6 test, and the goal being there that if we can predict,
7 using this conceptual model, cask response for one of
8 these environments, there's no reason to believe the rest
9 of the environments aren't also adequately represented.

10 Another important area that the issues report
11 believes we should look at is fuel assembly response to
12 impacts. This is always an area of much engineering
13 judgment. There is a facility in Germany which has the
14 ability to do impact tests on simulated fuel and determine
15 the amount of respirable particle size, for example,
16 that's created from certain impacts. We could on a bench
17 scale at Sandia compare that simulated fuel to a real
18 fuel, real spent fuel, that is representative and then
19 that's where we would get into the issues of fuel aging,
20 and any fuel we'd want to use would certainly have to be
21 representative.

22 So that's the area there, is to further look at
23 the ability to predict the fuel, because in accident risk,
24 of course, there is no risk from the radiation unless
25 there's a leak, and there's no leak unless the cask fails,

1 and then there's no leak also unless the fuel fails. And
2 you can assume that any accident that would fail a cask
3 would also fail a significant fraction of the fuel
4 assemblies, but the big question is how much of that
5 fraction is respirable and how much of that fraction can
6 not only be released into the cask, but released through
7 the small hole that might be made into the environment and
8 available for uptake by someone.

9 We would like to reconstruct the event trees that
10 were used in the Modal Study. This is the issue I
11 previously spoke about. There is newer data of accident
12 rates, accident types. We received several comments on
13 this during the last series of public meetings last year
14 that, for example, railcars now are built to vent and when
15 they burn, they burn for several days, and that's a
16 relatively new phenomena, so that accident scenario might
17 not be represented in your older event tree. And we can
18 reconstruct that using newer data that is available,
19 particularly for the rail, but also we would like to look
20 at the highway data that's available.

21 And, of course, I already mentioned that some
22 type of testing would support, in our opinion, would
23 support the conclusions of NUREG 6672 and through the
24 chain back all the way to NUREG 0170. Testing would seem
25 to, when we look at NRC performance goals, testing would

1 seem to have a big effect on public confidence if it's
2 done right. We don't want to do any test that is just a
3 demonstration, just a dramatic show of what the cask could
4 do. We don't want to run a train into it and bounce it
5 down the rails like I think they did in England. We don't
6 see any need to repeat that.

7 But if testing could support the conceptual
8 models that were used in 6672, we think it would be
9 useful. And with that, I'll take any questions people
10 have.

11 ARENDT: Question from the Panel? Dan?

12 BULLEN: Bullen, Board. You mentioned the testing at
13 the end here, and the full-scale finite element
14 evaluation, and then maybe possibly a test to verify that,
15 and then not have to repeat the testing, but to do the
16 finite element evaluation of all the other damage analysis
17 studies that you'd done previously.

18 I guess the question I have is you mentioned
19 Germany for the fuel impact. Are you also collaborating
20 with the international community who have tested casks?
21 For example, when we went to Germany a couple years ago,
22 they had a drop test of a half scale cask from 800 meters,
23 and looked at the deformation of that. And if you could
24 use your finite element on data that are already existing-
25 -it would be very expensive to redo quarter scale and half

1 scale tests, and so if you could, you know, basically
2 borrow the information from the international community
3 and then use your finite element analysis and see how well
4 that code works, have those types of opportunities been
5 undertaken?

6 LEWIS: You're absolutely right. We're looking into
7 that. We have interfaced with the IAEA, through the IAEA,
8 to try to obtain the international experience. Our
9 contractor is also very aware of the international, as are
10 we at NRC very aware of what's been done internationally.
11 Just from our corporate history, we have people that have
12 been involved and have worked with IAEA through the years
13 and know what other countries are doing through that
14 forum.

15 We're trying to use that information as much as
16 we can. There are issues that exist. The cask designs
17 are different. That doesn't mean from a technical
18 standpoint they're irrelevant, but for example, in
19 England, they test the Magnox Cask. After they hit it
20 with the train, they did do the hypothetical accident
21 tests.

22 Just one more thought. The idea of testing that
23 we're doing is extra-regulatory. We're not trying to test
24 a cask at the 30 foot drop. We're trying to look at the
25 extra-regulatory response of cask, which testing for that

1 purpose I'm not sure has been thoroughly done, even in
2 other countries.

3 ARENDT: Carl?

4 DI BELLA: Carl Di Bella, Board Staff. I'm sorry I
5 was out of the room when you started your talk, and you
6 may have already addressed this issue, but for the Modal
7 Study or the reexamination study or the package
8 performance study, what sort of initial manufacturing
9 defects do you assume might exist in the package, or in
10 the case of, say, reusable casks, like transportation,
11 what sort of accumulation of operational handling problems
12 do you assume for the purpose of the analyses?

13 LEWIS: We have addressed that issue specifically in
14 the issues report, as a possible issue for follow-on work.
15 The previous work, like the reexamination study and the
16 modal study, did not assume cask imperfections that
17 resulted from the manufacture, for example, during the
18 casting.

19 The issue, as I understand it from what Sandia
20 wrote, I'm not a structural engineering, but they say it's
21 relatively easy to address those types of defects by
22 incorporating them into a finite element analysis. And
23 that is something in the issues report that they do
24 recommend be followed up on.

25 Other human errors, we also have not

1 traditionally addressed other types of human errors which
2 might be during cask preparations, or such. That's also
3 an issue that we have to look at.

4 DI BELLA: Changing topics just a little bit, you
5 mentioned burnup credit. I know that NRC is working with
6 DOE in the disposal area, looking at burnup credit, and
7 that they are actually some time behind what's going on at
8 the transportation area. It seems as if in the disposal
9 area, that NRC is going to require an actual physical
10 assay of the fuel before burnup credit is allowed, at
11 least that's what I read it looks like what they're
12 converging to.

13 Where does it stand in the transportation area?
14 Are you also going to require some sort of assay in order
15 to get burnup credit for transportation?

16 LEWIS: Well, we did in the last--until about a year
17 or so ago, we had a joint review team at NRC that included
18 transportation, storage and disposal people to review the
19 burnup credit topical report that DOE was developing. I
20 think we got to Revision 2 of that report, and my
21 recollection, and I could be wrong, maybe a DOE person
22 knows more, that report was withdrawn.

23 In the transportation and storage arena, we have
24 issued what we call interim staff guidance. It's
25 basically our expectations of what should be in an

1 application for burnup credit. I'm pretty sure that no
2 cask vendor has tried to apply that guidance to date for
3 transportation or storage casks, although I could be wrong
4 there. But that's my impression.

5 During the review of the DOE topical report, we
6 did have for transportation and for storage and disposal
7 purposes, all three were unified in having a requirement
8 to do a physical verification of the assembly burnup prior
9 to loading. I think that in the transportation arena,
10 that reliance on administrative records of the utility has
11 since been decided that that was acceptable.

12 DI BELLA: In which area did you just say?

13 LEWIS: Transportation.

14 DI BELLA: Okay.

15 LEWIS: But I'm a little bit out of my area. I
16 worked on it for a while, but I haven't in the last year
17 or so. So I'm not up to date on the current.

18 DI BELLA: Thank you.

19 ARENDR: I have a question here from Alfred L.
20 Languelle from INALL. The question is is there any
21 consideration/work going on aimed at relaxing the double
22 containment requirements of 10 CFR 71.63 for
23 transportation of spent fuel?

24 LEWIS: Those apply not for spent fuel, but for
25 transportation of plutonium. It says if you have

1 plutonium transportation in a quantity greater than 20
2 curies, it has to be first of all in a solid form, and
3 second of all, it has to have double containment, meaning
4 two, basically a package inside a package.

5 That is an issue which is currently subject of an
6 open petition for rulemaking at the Commission. It will
7 be addressed as part of revisions to Part 71 to become
8 compatible with IAEA/ST-1 standard which came out in 1996.
9 We're just in the process of starting a rulemaking on
10 Part 71 for compatibility. There are some additional
11 issues which have been tagged onto the IAEA compatibility.
12 Plutonium double containment is one of them.

13 So there is consideration of relaxing the double
14 containment, but that doesn't mean that we will relax the
15 double containment. That will be gone through the
16 petition process and we'll get public comments on that
17 during the proposed rule phase and see what comes out
18 there. I know the TruPak container that's used is double
19 containment.

20 ARENDR: Any other questions from the Panel? Staff?
21

22 DI BELLA: Carl Di Bella again. You mentioned the
23 possibility of tests of the impact of impacts on the fuel
24 assemblies. It would be interesting at the same time to
25 look at the possibility of a transportation accident

1 damaging the fuel assembly, and its consequences for
2 disposal. It seems to me that would be easy enough to
3 look at at the same time. That's a comment, not a
4 question.

5 ARENDT: Okay, well, thank you very much. Our next
6 speaker is Don Doherty from the Naval Nuclear Propulsion
7 Program.

8 DOHERTY: The microphone works, I presume?

9 I am listed, and correctly listed, from the Naval
10 Nuclear Propulsion Program. And Jim Carlson earlier
11 talked about Naval Reactors, and we're one in the same.
12 The Naval Nuclear Propulsion Program is a two-headed
13 organization which has an identity in DOE which is the--
14 well, it's Naval Reactors, and we have an identity in the
15 Navy, which is a long involved name. But basically we
16 have considerations, because of our support of active duty
17 Naval ships, which makes us a little bit different in some
18 aspects than the normal DOE thing.

19 I have handouts out there. By the way, Jim
20 Carlson mentioned over 30 years. I've got 39, and it
21 isn't fun all the time in my job either.

22 In the handout I put out, there are a number of
23 pages of words, but we have talked to the Waste Board a
24 number of times about Naval fuel considerations, and I'm
25 really not going to go over all those words at this time.

1

2 I want to show an update of where we are on the
3 program, which will be basically pictures, because we're
4 in Idaho and most of the action right now is here in
5 Idaho, so let me start.

6 This shows a nuclear powered aircraft carrier
7 being shock tested. The reactor is its power inside the
8 ship, and does not shut down or scram during the shock.
9 And as you can see, that's a fairly impressive underwater
10 shock. You see the old World War II movies where these
11 depth charges come down and go off a foot from the
12 submarine and the submarine is fine. Not true. There's a
13 tremendous shock wave that comes from an underwater
14 explosion, and we have video tapes of reactor components
15 and other components during shocks, and they wave around
16 like it's a raging storm going on, and yet we insist that
17 the reactor continue to operate to provide the commander
18 of the ship the ability to continue to fight the ship.

19 The last thing you want is to shut down during a
20 battle situation and basically not be able to launch
21 aircraft. So, again, that's slightly different than a
22 commercial plant which has a little different set of
23 objectives, and has a different reaction to, for instance,
24 an earthquake, which is a much lower shock. Naval fuel is
25 designed for over 50 g's. It's even higher than that, but

1 it gets into classified things, which is appreciably
2 higher than what a commercial plant is designed for.

3 Consequently, the Naval fuel is very robust,
4 which is a term we use, but it basically means there's an
5 awful lot of metal there and not as much uranium as you're
6 used to seeing when you look at commercial fuel.

7 All of the spent fuel that has operated in every
8 ship has been shipped to Idaho when it's removed from the
9 reactor. It has come to the Naval Reactor facility out in
10 INEEL and has been examined, every single core is
11 examined, and some in more detail than others if it's a
12 first of a kind, or something like that. And then before
13 1990, the fuel was moved and reprocessed.

14 In 1990 when reprocessing was stopped, we were
15 sort of left without a home, and we have worked since then
16 with a number of organizations, RW, NRC, the Waste Board,
17 and others, to try and make sure that Naval spent fuel
18 also had an end to the process. I mean, ultimately,
19 operating a large program, which we intend to operate for
20 a long time, you've got to have an end. You've got to be
21 able to say yes, you know, we are responsible, cradle to
22 grave, we're going to make sure that we responsibly take
23 care of this. And, therefore, Yucca Mountain is very
24 important to us.

25 The picture in front of you here is the Naval

1 Reactor facility, which I will probably call NRF a number
2 of times. And for historical note, that is the prototype
3 of the original Nautilus, and there are several other
4 reactor prototypes there, too. They are all shut down
5 now, and the main active facility is this one right here,
6 which is the expended core facility. And this is the
7 facility to which all the fuel that comes and is removed
8 in refuelings of ships comes to. There are rail lines
9 that come in both this end and then come around in here,
10 and we have made over 700 shipments. I'm sure there will
11 be some exact numbers that Ray English, who will follow
12 me, will give you on that, and they've all been safe. And
13 those shipping containers come into the building and are
14 unloaded, and then the fuel is moved into a water pit
15 where it's put into fuel storage racks, which are common
16 to most of you, quite similar to commercial or other
17 places underwater.

18 What we are working on now is a dry storage
19 facility, which would be in this region right here, which
20 would be a storage pad, and when we remove the fuel from
21 the water pit and cut off the excess structural material
22 on both ends, we would then put that fuel into canisters
23 which are welded up, and then put into storage over packs,
24 which would be moved out to this facility and put on a
25 storage pad. We're going to have a building over it, but

1 basically it's a storage pad which could be in the open.

2 This is what the inside of ECF looks like. It's
3 a water pit which is 400 feet long, and you can't see it
4 very well, this is taken up from the crane, one of the
5 cranes that goes across the top. Right there are some of
6 the fuel storage racks which are similar to ones in other
7 places. The water pit differs from 25 to 45 feet deep.
8 Most places where fuel is stored is more than 30 feet
9 deep. Those are bridge cranes that run across. But I'm
10 not going to talk about the water pit. That's just to
11 calibrate you.

12 All the fuel comes in and goes in there, and then
13 when we move it, we will move it to a new facility, which
14 is under construction. And this is a cartoon. I'll show
15 you some pictures of the real thing in a minute. This is
16 a big storage facility--there's a few people around here
17 to give you a little sense of scale--where we would move
18 the fuel in through water filled canals from the water
19 pit, and then move it down a line, process line, where the
20 excess ends, fuel on the ends is--not fuel--structural
21 material on the ends is cut off, and so you would just end
22 up with the active portion of the fuel.

23 And then we will also have a facility there to
24 affix a poison material permanently to the fuel, and the
25 material we're affixing is hafnium, and the fuel itself is

1 basically large amounts of zircaloy, with a small amount
2 of enriched uranium, both of which have excellent
3 corrosion resistance. And we think the hafnium will stick
4 with the fuel as long as the fuel maintains its integrity
5 and doesn't dissolve into dust, which we think is a very,
6 very long time.

7 When the fuel comes off the line, gets loaded
8 into a basket--that's the basket, the red things are
9 supposed to be fuel cells--and here is a shielded cask
10 which contains a canister. And that cask is moved up here
11 under that--we actually have a shielded cover on that
12 port--and then the basket is put down into the canister.
13 It is moved back out here. The canister is welded. It's
14 then further moved here under this hole, and a right
15 circular cylindrical reinforced concrete overpack, 13 feet
16 in diameter, is placed over here, and then the canister is
17 pulled up into it. And that will be shown here.

18 That shows you this is the device that rolls back
19 and forth. And these exist. I mean, the transfer
20 mechanism exists. The shield cask is being built right
21 now. The dry cell is completed. It just has not become
22 contaminated yet because we haven't put real fuel in it
23 yet. And this would be a basket with the fuel, the spent
24 fuel in it, and the spent fuel basket would be lowered
25 into the canister.

1 Now there's some real pictures. This is the
2 inside of the dry cell, and he's looking around, but he
3 provides a little bit of scale. It is, as I said, a large
4 hot cell, stainless up most of the walls for
5 decontamination, although it's not intended to have people
6 go in there really almost ever, but things happen.

7 This is the process line I mentioned, and this
8 here is a drill which co-drills through the fuel cell, and
9 the poison that you're going to permanently attach. And
10 then there are zircaloy pins which go through those holes
11 and have locking devices associated with them, so that
12 that permanently ties the poison to the fuel.

13 And then after that, you move further down the
14 line to this big saw, which is a slow moving, looks like a
15 band saw, but it's not a band saw, but it looks like a
16 rotary saw you'd use at home, but it's very slow moving
17 and fairly wide. It really has milling cutters and it
18 just goes slowly and mills through the fuel, so we have
19 nice big chips, no worry about zirc dust fires or
20 anything.

21 When the fuel is finished, it is put into baskets
22 in that area, and this here is the lid, the shielded cover
23 on that hole through the bottom of the dry cell that I
24 mentioned before. So when the basket is full, it would
25 then be picked up, put through that hole in the floor,

1 into a waiting canister. Typically, there would be two or
2 three baskets per canister, depending on the size of the
3 fuel. We have a number of different types and heights of
4 fuel. This is the only picture I could get. This is the
5 crowd. But this is the outside of that same dry cell I
6 showed you, that same hot cell.

7 So this is the operating gallery. There are some
8 manipulators and windows, and there are people out here,
9 there's a control panel behind this gentleman, and the
10 operations inside the dry cell--let me just shift back to
11 that for a second. For instance, here's one of the
12 windows from the inside. There's another window there.
13 So looking in that window, you can see the cutting
14 operation quite clearly, and the cutter is controlled by
15 someone outside the window.

16 Now, a lot of this is sort of semi-automated in
17 the sense that we have a controlled rate of cut, rate of
18 advance, but there are people there, and they can, in
19 fact, make judgments about whether the process is moving
20 right or there's something unusual about a particular
21 case.

22 Now, what do we put this fuel into? This is our
23 canister. It's 316L stainless steel. Wall thickness over
24 most of the length is an inch. It's thicker up at the
25 top, and it has a thicker base, about three inches, and

1 this, I don't remember exactly what it was, somewhere
2 between 10 and 12 inches. And the reason for the shield
3 plug at the top is to keep the radiation level in the
4 region where people have to do welding and do inspection.
5 The welding can be pretty much done remotely. Inspection
6 is more difficult. It is to keep the dose down to those
7 people.

8 Now, again, the fuel that we will be loading in
9 here in many cases will be more than five years old.
10 Occasionally, it may be lower, but Naval spent fuel--Naval
11 reactors operate typically in a mode where the average
12 power level is more like 20 or 30 per cent, and there are
13 fairly long periods of time where the ship actually is
14 tied up at a dock doing some work or something, or giving
15 leave to the people, and when you're operating, you're
16 operating either on a go fast run around and play games
17 basis, or you're just sort of transiting, and it's a
18 relatively low power thing as opposed to commercial
19 reactor which operates for most economic efficiency, which
20 is usually very high power. So our fuel will tend to be
21 cooler than commercial fuel at the same amount of time
22 after shut down.

23 I've got a picture here of what that closure
24 looks like. Again, let me show you what I'm going to show
25 you. This region up here, which will show you how we in

1 fact hold the head on and do the seal, and this is the
2 shield plus, the thick plug I mentioned at the top, and
3 this is the wall. This is thickened up here. This is a
4 shear ring, which is a split ring, and it has to be
5 compressed with a little section cut out in order to get
6 it in there, because that's a groove all the way around in
7 a right circular device. So think of it like a piston
8 ring, and once it's in there, then the piece that was
9 missing is put in so you have a complete shear ring all
10 the way around. And the shear ring holds the upward force
11 of the fuel plug under accident conditions, or even for
12 lifting. We actually lift from some threaded holes in the
13 top of the shield plug. So that is the primary way that
14 the stress is taken through that shear ring.

15 We also use that shear ring as one of our two
16 welded boundaries for the canister. And it's welded at
17 the top and at the bottom with fillet welds, and also
18 obviously I can't show it here, but where you come
19 together with the insert, it gets a little more
20 complicated because you've got to do some welds there in a
21 number of other directions to make sure you've got that
22 totally sealed. So that's two welds, plus a number more
23 where the insert goes in. All those welds have to be
24 inspected. The welds would be done with a fairly
25 automatic process, but the inspect will take people.

1 And then this is a--again, this area here is a
2 void and goes all the way around. This would be a flat
3 piece which also would then fit into the top of that void,
4 and that is welded here then, and here. And there are
5 provisions which I don't show on this for little threaded
6 pipe plug type vents to go do helium leak tests and to
7 inspect and ensure that this weld is holding, and then
8 that this weld is holding, too, independently. Again, I
9 don't have time to go through those steps, but it can be
10 done.

11 And I showed you pictures of baskets, mostly
12 cartoons, before. This is very close to what our first
13 basket is being fabricated at today. That's an
14 interesting point. We're building these things. The
15 canister I just showed you, that's on order, being built.
16 In fact, the lead unit is done and undergoing some
17 dimensional testing right now. We think it's done. We'll
18 find out after we do the testing.

19 This basket is a set of disks, goes all the way
20 across, with holes in the disks, and then it has pillars
21 that hold all the disks together. It's not really relied
22 on for anything other than both in dry storage at Idaho
23 and in a transportation accident. It maintains
24 dimensional separation of the fuel, strong enough to take
25 care of that. We're not counting on this in a repository.

1 The canister I showed you is technically a dual
2 purpose canister in that it is currently designed for
3 storage at Idaho and shipment to an eventual location, a
4 repository or interim storage facility. But, in fact, we
5 fully intend it to be a multi-purpose canister so that it
6 is suitable for insertion in Idaho, and that's our intent,
7 and we've worked with RW to make sure that in fact we are
8 doing everything. The rules aren't established, so you
9 don't know, but that's the intent. As I said, we're also
10 buying them right now, so we sure hope it comes out right.
11 And, again, those are the fuel cells.

12 I mentioned the storage overpack. This is about
13 30 inches of concrete. Maybe it's more than that. It's a
14 lot of concrete, reinforced concrete with control density.
15 We hunted around a lot to find the right quarry around
16 here to give us the right kind of the gravel base to put
17 in. It's got a lot of reinforcement. The metal is carbon
18 steel, and the canister, of course it's in the middle, and
19 there are vents, doors here really, and there are screens
20 on them, where air can come in, circulate up between the
21 canister and the overpack, and then go out the top.
22 That's a screen there. And we show pretty good air flow,
23 depending on the driving force, the thermal driving force
24 of the heat of the canister. But this is carbon steel.
25 All these are carbon steel, and this would be used just at

1 Idaho.

2 When it came time to ship somewhere outside of
3 Idaho, we would transfer the canister unopened to a
4 transportation overpack. This is a little sketch here
5 because we're not building this yet. The design has been
6 completed and currently happens to be at our place for
7 approval, but we're going to be chewing on it for a number
8 of months. Nothing particularly exceptional about this.
9 It's a solid stainless steel container I think on the
10 order of eight inches thick, or eight and a half inches
11 thick, and with gasketed closure, and has impact limiters
12 on both ends and would, again, we've shown, we intend to
13 show, and I've already analytically done in terms of the
14 analysis to support the design shown, that it would be
15 able to meet the NRC requirements for shipment.

16 We will probably order that in '04. We want the
17 design in place, but there's no sense spending all the
18 money it's going to take until there's someplace we can
19 ship, or at least we're getting closer to it.

20 I pointed out where we're going to have the
21 storage facility. This here is a corner of the expended
22 core facility, ECF, and there is a transfer path right
23 across here where the loaded storage overpack, this big
24 concrete cylinder with the canister inside of it, where
25 that is moved over and stored actually in this building.

1 This is the storage building. What this higher building
2 is is the overpack fabrication building, because the
3 overpacks are going to be fabricated here in Idaho by an
4 Idaho company, and they'll be making them on--they'll make
5 three at a time in there, and have them far enough ahead,
6 but we don't want to end up with 50 overpacks sitting out
7 in the desert getting rained on, so we'll make them up as
8 we need them a little bit ahead of need.

9 And that's a look at the--it's kind of a fuzzy
10 look at the transfer path. It's really a lot smoother
11 than that. We're going to use air pallets to move the
12 loaded overpacks so that they are never more than a few
13 inches above the deck. There's very little in the way of
14 accident or drop that can happen to them. Overpacks don't
15 handle drops very well--or concrete doesn't handle drops
16 very well. And it seems an efficient way to move it. So
17 that, I think is the end of my presentation really.

18 There are a number of points which I chose not to
19 go through all the words, but in the handouts you have, at
20 the very end, it talks about where we stand on
21 procurement. I mentioned we have the first lead unit
22 canister already, and there will be eleven more delivered
23 really this year.

24 We have baskets on order, again for delivery
25 toward the end of this year. The storage overpacks, the

1 contract is placed and the metal parts of the overpacks,
2 the carbon steel parts are being fabricated, and as you
3 can see, the building was being built. So we're well on
4 our way, and we've obviously ahead of what all the
5 requirements are at the mountain, and we're trying to do a
6 very conservative job, which is typically the way we
7 approach things anyway, and be in a position that if Yucca
8 Mountain is approved, or some other facility is approved,
9 that what we have already packaged and defined very well
10 will be suitable.

11 We've been working with RW. We've talked them
12 through what kind of a certification data package we would
13 send with each loaded canister so it's clear what's in it.
14 Those are underway. We've been engaged with them on our
15 quality assurance program, and they have agreed with our
16 planning. The NRC has been involved with that and has
17 also agreed.

18 We are working with the NRC on our plans. We're
19 ensuring that Naval spent fuel will not be critical, will
20 not become critical in a repository. We are also working
21 with NRC, different group, in terms of making sure that
22 the facility we have out here in Idaho Falls--or I'm
23 sorry, in INEEL, will provide comparable safety to the
24 public as a commercial spent fuel facility would sitting
25 on the reactor site. And that's really all I had.

1 ARENDT: Any questions? Bob?

2 LUNA: Don, what kind of capacity do you have in your
3 storage building in, say, years? How long can you store
4 there?

5 DOHERTY: That's a good question. The answer is a
6 long time, even though we're not intending to do that.
7 But the storage pad is very thick and we have done seismic
8 analysis, and it's a very stable situation. That building
9 that you see there is designed to hold 54 storage
10 overpacks. We also have conceptual designs where you
11 could add onto the end of it to the point where, you know,
12 we've conceptually looked up to 150 overpacks, I mean,
13 depending on what scenario you put together.

14 The total number of loaded canisters the Navy
15 expects to have by 2035 is 300. We expect that, you know,
16 we will be shipping somewhere between we hope 2010 and, if
17 not, shortly thereafter. And, therefore, those kinds of--
18 150 would be satisfactory for that, with some comfort
19 zone. We would not build the extensions until it became
20 apparent that we need the extensions, although I'm pretty
21 sure we'll need at least one.

22 ARENDT: Any other questions? Bill?

23 BARNARD: Don, you mentioned that Navy spent fuel
24 emitted less thermal energy than comparable commercial
25 spent fuel. Without revealing any classified information,

1 can you give me an approximate percentage of how much
2 less?

3 DOHERTY: About half.

4 BARNARD: About half?

5 DOHERTY: I mean, that's really ballpark.

6 BARNARD: Yeah, that's fine.

7 DOHERTY: And it's the same with radiation levels. I
8 mean, typically a canister with Naval spent fuel will have
9 about half the heat and about half the radiation level.
10 Now, that's assuming the commercial one is the same size.
11 I know that there have been a number of studies about
12 shrinking and moving sizes of containers to control heat
13 loads. So, you know, it's within those variables.

14 ARENDT: Dan?

15 BULLEN: Bullen, Board. Just a quick question about
16 your shear ring design on the closure lid for your
17 canister. I mean, obviously you've interfaced with the
18 DOE on that. Is there any interest in DOE in adopting a
19 similar design for those types of containers? I mean,
20 you've got a container that's just as heavy as, or maybe
21 even heavier than the DOE containers. Have they shown any
22 interest in your analyses associated with that shear ring
23 design?

24 DOHERTY: It has been shown to them. We go down to
25 Las Vegas about every four months and have an interchange

1 with--and you've been in some of those--with RW and the
2 people down there YMPO and the M&O, and they are clearly
3 very well aware of what we have. I suspect when we really
4 have something built and welded, there may well be more
5 interest in the sense of, gee, why do we even want to
6 design our own, that thing works, maybe, if it does. But
7 I don't think anybody right now is saying yeah, yeah,
8 yeah, I want a board. Not yet.

9 BULLEN: Just for the record here, the last time we
10 were at one of those interchange meetings, the lights went
11 out there also.

12 DOHERTY: I heard that, yeah, I was supposed to go on
13 that one, but my father-in-law died.

14 BARNARD: Don, I've got another temperature question.
15 This is related to the diagram, Viewgraph 14. Can you
16 put that up so people can see what we're talking about?

17 DOHERTY: Sure.

18 BARNARD: You indicated between the inner liner and
19 the outer concrete storage container, there was an air
20 space?

21 DOHERTY: Yes.

22 BARNARD: For ventilation; is that correct?

23 DOHERTY: Yes, that's right.

24 BARNARD: Can you tell me approximately what the
25 temperature of the liner will be?

1 DOHERTY: The temperature of the concrete--

2 BARNARD: The surface of the liner.

3 DOHERTY: Well, but, I mean, it's not going to be
4 very different than the concrete right in here.

5 BARNARD: Okay.

6 DOHERTY: The liner is capable of handling pretty
7 high temperatures. The concrete can't. Boy, I'd hate to
8 give you a number off the top of my head because I don't
9 know that it would be the right number. If anybody here
10 from Naval Reactors knows the number, feel free to walk to
11 a microphone and contribute it if you know it.

12 Guesswork kind of thing, it would be a number in
13 the--I'd better not even guess. I think it's under 200
14 degrees, but I--

15 BARNARD: Centigrade?

16 DOHERTY: No, fahrenheit. I mean, concrete, there
17 are certain temperatures at which concrete tends to
18 deteriorate above that for long periods of time, and there
19 are rules in the--the NRC has rules about what are
20 acceptable temperatures, and it depends to some extent on
21 the aggregate you use, and things like that. And we meet
22 those rules, and we also have assumed for design purposes
23 a very strong thermal source. We will never have anything
24 as hot as we have assumed for design. So if I gave you a
25 number, it would be a high number, and I can't give it to

1 you, because I don't have it. I mean, I could get back to
2 you, I could probably get it to you by the end of the day.
3 But it would not be anywhere near that high. I would
4 guess two-thirds of that number. And we show we're okay
5 with the NRC rules on that number. Does that answer it, I
6 mean, to the extent I'm capable of it?

7 BARNARD: Yeah. If you could get me a number in the
8 next week or two?

9 DOHERTY: Will do. Sure.

10 BARNARD: Temperature is pretty important in canister
11 performance, and that's why the interest.

12 DOHERTY: Sure. We ran tests. We did fairly large
13 scale tests, I don't know if they're full-scale or not,
14 where we in fact mocked up the thermal path and showed how
15 much air flow went through here, and we have done other
16 extensive analyses, mostly analyses here in terms of
17 conservative sources, assuming that instead of, you know,
18 a hot spot near where the center of the fuel is, it's hot
19 all the way up, and that's the kind of conservatisms that
20 go into the number. But we'll get you a number.

21 ARENDT: Okay. Anything else? Thank you very much.

22 DOHERTY: Okay, thank you.

23 ARENDT: Our next speaker is Ray English. Ray is the
24 transportation officer for the Naval Nuclear Propulsion
25 Program.

1 ENGLISH: We'll give you a change of pace and go on
2 this side. The Board members over there were starting to
3 get this crink in their neck and they said could you
4 please go to the other side? We'd appreciate it.

5 Good morning. I have been responsible for the
6 Naval Nuclear Propulsion Program Transportation
7 activities, rail transportation activities, for 20 years,
8 and that includes shipments of spent fuel. And, gee, I
9 don't--is Jim Carlson still in the room? I don't
10 understand he and Mr. Doherty, because I have fun every
11 day. I guess one of the differences is that I'm actually
12 shipping stuff, Jim. I don't mean that as a slight, but--

13 The Naval Nuclear Propulsion Program's
14 outstanding operational record with utmost care and
15 concern for public health and safety and the environment
16 extends to its spent fuel transportation activity. Since
17 1957, the program, in conjunction with the nation's
18 railroads, has safely moved 727 containers of spent fuel
19 to the Idaho National Engineering and Environmental
20 Laboratory.

21 And earlier, Mr. Doherty talked about activities
22 at the Naval Reactors facility on the INEEL; what I'm
23 going to talk to is the activity getting spent fuel to the
24 INEEL.

25 Naval spent fuel shipments are safe for three

1 reasons. First and foremost, because of the robust
2 shipping containers in which the spent fuel is packaged
3 and transported. Secondly, because of the inherently
4 rugged nature of Naval reactor fuel components, which Mr.
5 Doherty alluded to. And third, because of the proven
6 practices we follow in making these shipments. And I'll
7 speak to each of these three factors in a little more
8 detail now.

9 I don't want to replot any of the ground that Bob
10 Lewis talked about concerning the performance standards.
11 Naval spent fuel shipping containers are Type B containers
12 certified to Nuclear Regulatory Commission accident
13 performance standards. These accident performance
14 standards require that a loaded container be able to
15 withstand severe real world accidents, with minimal
16 release of radioactivity and limited radiation level
17 increases near the container.

18 Now, these performance standards are expressed in
19 engineering terms, for example, a 30 foot drop onto an
20 unyielding surface. There's no such thing in nature as an
21 unyielding surface. The reason the standard is written
22 that way is so that as a result of the standard, all of
23 the energy of the drop is absorbed by the container
24 itself. A 30 foot drop onto an unyielding surface is
25 roughly the equivalent of a 60 foot drop onto a reinforced

1 concrete surface.

2 There was some discussion about the performance
3 standard of the fire test, 1475 degrees for 30 minutes.
4 Again, that's an engineering standard. It's 1475 degree
5 heat input to the container for 30 minutes solid. In a
6 real world environment, flame temperatures would likely
7 have to be much higher than 1475 degrees. And there are
8 other accident performance standards, water immersion and
9 puncture.

10 The regulation specified that the same container
11 must survive all of the accident standards in sequence, so
12 you have the cumulative effect of damage coming into play
13 in order to certify a container also. And there have been
14 full scale crash demonstrations of containers performed in
15 the United States and the United Kingdom. These
16 demonstrations have proven that the standards and the
17 analysis methods used to evaluate containers against the
18 standards are effective and reliable.

19 Here is the workhorse Naval spent fuel container,
20 the M-140. The M-140 is 14 inches solid stainless steel.
21 Naval spent fuel is shipped dry, meaning the container is
22 not filled with water for transport. With internal
23 support structure modifications, the M-140 can handle a
24 variety of submarine and aircraft carrier reactor fuel.
25 There are 24 M-140 containers in our inventory. Each

1 container has its own railcar to which it is permanently
2 mounted.

3 Here is the only other container we are currently
4 using, the M-160 container. The M-160 is specifically
5 configured for a particular Naval reactor plant fuel
6 design, and it's currently being used for a handful of
7 shipments of that design fuel. The M-160 is twelve inches
8 thick, consisting of a steel inner and outer shell, and
9 lead in between the inner and outer shell.

10 Now, regarding Naval reactor fuel components, Mr.
11 Doherty touched on this, the components are solid metallic
12 form, not flammable and not explosive. The nature of U.S.
13 Navy war ship operations and life on a nuclear powered war
14 ship requires that Naval reactor fuel components be
15 manufactured to withstand battle shock conditions. And
16 because the ship's crew lives and works within feet of the
17 reactor plant, the fuel components fully contain all
18 fission products manufactured, or produced.

19 The other operational requirement, which results
20 in an extremely rugged fuel component, is the designed
21 operational life of Naval reactor fuel, 20 years or
22 longer. We are currently installing reactor fuel in the
23 new class submarines that should last the life of the
24 ship. The boat will never have to be refueled. The
25 result is a rugged component, exceptionally well suited

1 for transport, storage and disposal.

2 Now, the third factor contributing to the safety
3 of Naval spent fuel shipments is adherence to the shipping
4 practices, which over 40 years of shipping experience,
5 have proven effective from an operational and safety
6 standpoint. Every shipment is escorted by specially
7 trained Navy couriers. The escorts serve as on-board
8 traffic managers, working with trained crews and local
9 railroad officials for the movement of the shipment.

10 The escorts also receive training and have the
11 equipment and material available to act as first
12 responders in the event of an accident or security
13 emergency.

14 Government owned railcars are used, and inspected
15 thoroughly and maintained to ensure mechanical worthiness
16 of the transport vehicle.

17 We make advance arrangements for each shipment
18 with the involved railroad operational and police
19 departments. There are no surprises between us, the
20 shipper, and the rail carriers.

21 We do not require that the shipments move in
22 special or also called dedicated trains. It is the
23 longstanding position of the Navy and the Department of
24 Energy that dedicated train service is not required to
25 make spent fuel shipments safe. There may be other

1 reasons to use dedicated train service, but it is not
2 clear that the perception of safety and dedicated train is
3 valid. But in many cases, and this may be one of the
4 cases, perception may be reality, and this is why we
5 continue to work with the railroad industry on this issue.

6 Routing is determined by the railroads. The
7 detailed routing is determined by the railroads. They
8 know their tracks and their system better than anyone
9 else, and they must have the flexibility to route the
10 shipments as they see fit.

11 This slide depicts our most common shipping
12 routes. Obviously, the destination for every shipment is
13 the INEEL. The origins on the East Coast are Portsmouth
14 Naval Ship Yard in Portsmouth, New Hampshire, Newport News
15 Ship Building in Newport News, Virginia, and Norfolk Naval
16 Ship Yard in Portsmouth, Virginia. On the West Coast, the
17 one origin is Puget Sound Naval Ship Yard in Bremerton,
18 Washington.

19 When East Coast shipments reach Kansas City, this
20 is an example of rail carrier routing flexibility, the
21 Union Pacific Railroad removes shipments on the Nebraska
22 route or the Kansas/Colorado route, depending on factors
23 such as traffic volume on each line, and ongoing routine
24 track maintenance on each line. And we often do not know
25 which route Union Pacific is going to take until the

1 shipment gets to Kansas City.

2 Discussion of a few more of the shipping
3 practices. The location and status of every Naval spent
4 fuel shipment is monitored constantly through the same
5 satellite tracking system which is used for nuclear
6 weapons shipments. Since Naval spent fuel shipments are
7 classified national security shipments, no pre-
8 notifications are made to governors' designees per NRC or
9 DOE procedures for unclassified shipments. But state law
10 enforcement and emergency management officials are briefed
11 periodically about Naval spent fuel shipments by the DOE
12 Albuquerque office that briefs state officials on nuclear
13 weapons shipments, and the Naval Nuclear Propulsion
14 Program representatives provide briefs as requested.

15 One other point here is that the Naval Nuclear
16 Propulsion Program sponsors and coordinates a periodic
17 Naval spent fuel shipment emergency exercise with state
18 and local emergency services personnel. We do these
19 exercises every other year, and we alternate them between
20 West Coast and East Coast. These exercises familiarize
21 participants and observers with Naval spent fuel
22 shipments, interacting with the escorts that accompany the
23 shipments, and the coordinated response and recovery
24 required in the event of an accident.

25 This picture of a Naval spent fuel shipment shows

1 that we usually move more than one container at a time,
2 typically two to four containers in a single movement.
3 The other point I want to make here is that the escorts,
4 our escorts in the caboose, which is at the rear of the
5 train, maintain a hand-held radio link with the
6 railroad's train crew in the engine. We think it's very
7 important for our escorts to be able to talk with the
8 people that are driving the train.

9 I guess one other point I can make, you can't see
10 it very well, you can probably see it a little better in
11 your handout, there are two containers at the rear of this
12 train which look different than the M-140 or the M-160.
13 Those two containers are the older generation M-130
14 container that used to be the workhorse of our fleet, but
15 we recently made what we think is the last shipment of M-
16 130 containers. The M-140s were designed to take over for
17 the M-130s.

18 The safety of Naval spent fuel shipments has been
19 fully analyzed in Navy and DOE spent fuel environmental
20 impact statements. The analyses addressed incident-free
21 transport and potential serious accidents, and covered
22 past and future Naval spent fuel shipments.

23 The future shipments included approximately an
24 additional 500 containers between 1995 and 2035 to the
25 INEEL, and about 300 containers from the INEEL to a

1 repository or interim storage site outside of Idaho.

2 These next two slides and the ones in your
3 handout summarize the results of these analyses, and
4 clearly show that the average annual risk to the public
5 from the radioactive nature of the shipments in all
6 scenarios is extremely, extremely low.

7 Expressing that radiological risk in terms which
8 are more pertinent and easier to comprehend, the average
9 radiological risk associated with Naval spent fuel
10 shipments are well below one chance in billion. Comparing
11 this risk to other annual risks provides some perspective.

12 For example, the risk of dying in an automobile
13 accident is one chance in 40,000, compared to the Naval
14 spent fuel radiological risk of one chance in one billion.
15 And the chance of dying from a meteor striking the earth
16 is even greater than the Naval spent fuel radiological
17 risk.

18 That concludes my remarks about shipments to the
19 INEEL. I'll be happy to try to answer any questions.

20 ARENDT: Dan?

21 BULLEN: Bullen, Board. Just a quick question about
22 your first responders being on the train. Is there a
23 problem associated with a severe accident and their
24 survival? I guess that's the key issue.

25 ENGLISH: Certainly there is, yes.

1 BULLEN: So they--I guess that's just the easiest
2 question. I mean, the first responder on the train is
3 actually a good idea, because it would be there for the
4 emergency responders from nearby counties and the local
5 governments if there is a derailment that doesn't have the
6 severity that would injure those people.

7 ENGLISH: Right. We think that having the escorts on
8 the train brings a lot to the shipment in terms of being
9 able to interface with local emergency responders.
10 Whether or not the escorts survive a severe accident,
11 that's a crap shoot, we think. So we think it's
12 worthwhile having them there.

13 ARENDDT: Carl?

14 DI BELLA: Carl Di Bella, Staff. Of the 727
15 shipments that have been made of Navy spent fuel, how many
16 actually have been in dedicated trains? Not how many,
17 what fraction, roughly?

18 ENGLISH: Well, that's a tough question, because in
19 the Fifties, Sixties and Seventies, I think we mainly
20 moved in regular freight service. Starting in the
21 Seventies, the railroads started to move some shipments in
22 dedicated trains. We went through a period where all the
23 shipments moved in dedicated trains, Seventies, Eighties,
24 and then we started to move shipments in regular freight
25 again in the late Eighties and through the Nineties, one

1 exception being the Union Pacific Railroad has almost
2 always moved the shipments in dedicated train as a matter
3 of company policy. So I couldn't give you a number, but
4 there's a fair mix.

5 ARENDT: Any other questions? Richard?

6 PARIZEK: Parizek, Board. You don't tell the
7 governors you're coming, but an M-140 looks like a pretty
8 unique train car, as does the M-160, so I guess anybody
9 with any alertness would know here comes one now?

10 ENGLISH: Well, yes. It's an interesting dilemma for
11 a national security shipment, especially the last five or
12 six years when we're gone out of our way to go talk to
13 people, show pictures, just like this presentation. But
14 you're right, so there is a paradox there that we have to
15 deal with because it's a national security shipment.

16 ARENDT: Any other questions?

17 Okay, we've got some extra time and I believe
18 what we will try to do is to--does anybody in the
19 audience, would they like to ask any of the speakers
20 questions.

21 Linda, has anybody signed up so far? Carl, why
22 don't we take the question that you've got.

23 DI BELLA: This is Carl Di Bella, Staff. A member of
24 the public, Sally Devlin, called in an hour or so ago with
25 several questions, and let me just--there are three

1 questions. Let me read them one at a time and see if
2 there is anyone here who can tackle them.

3 The first question is--Sally Devlin,
4 incidentally, is a resident of Pahrump, Nevada. The first
5 question is, "Where did the new railroad plan for Pahrump
6 come from, and who prepared it?"

7 Is Jim Carlson still here? Jim, did you hear the
8 question?

9 CARLSON: No, I was out of the room.

10 DI BELLA: This is from Sally Devlin. "Where did the
11 new railroad plan for Pahrump come from, and who prepared
12 it?"

13 CARLSON: Jim Carlson, Department of Energy. I'm not
14 aware of a new railroad plan for Pahrump, or who prepared
15 it. Perhaps they're talking about some of the alternative
16 routes that were analyzed in the draft environmental
17 impact statement, and I would probably pass that over to
18 some of the folks who are here from the Yucca Mountain
19 Project Office.

20 ARENDT: You wanted to speak, didn't you, Wendy.

21 DIXON: What was done in the draft environmental
22 impact statement was an analysis of both some alternate
23 routes as it related to sensitivity analyses for transport
24 vis-a-vis truck, just again for sensitivity analyses
25 because they don't meet DOT regulations and the state

1 hasn't come up with a preferred alternative route at this
2 point in time.

3 And then we did look at various rail corridors,
4 not proposed, but for purposes of analysis. We called
5 them implementing alternatives and we turned to the public
6 and we asked for their input during the DEIS time frame on
7 those various alternative routes. And one certainly does
8 go in that vicinity. I wouldn't use the word proposed.
9 These are alternative implementing corridors that we're
10 looking for public input on, or we were looking for public
11 input on, during the comment period on the draft, and they
12 did do comparisons between length and differences in cost
13 and construction and a suite of environmental parameters.

14 DI BELLA: Thank you on Sally's behalf. That's
15 question Number 1. Question Number 2, "Are they aware
16 that there are absolutely no medical facilities in this
17 area? This area meaning all of Nye County and the part of
18 Lincoln County that Nellis Air Force Base falls in."

19 DIXON: Yes.

20 DI BELLA: An anonymous person in the audience who
21 just spoke said yes. Question Number 3, "Route 95 and
22 Route 160 are 9 hazard roads." That's the number 9 hazard
23 roads, which is a state rating system. "Are you aware of
24 this?"

25 DIXON: We are aware that they do not meet DOT

1 regulations, yes.

2 DI BELLA: Could you come to the mike and say that so
3 we can get it on the record? And this is Wendy Dixon
4 again.

5 DIXON: We are aware of the fact that these do not
6 meet DOT regulations for the transport of spent nuclear
7 fuel and high level waste. They were done for purposes of
8 sensitivity analyses. So thank you.

9 DI BELLA: Thank you again on behalf of Sally Devlin.

10 ARENDT: Richard?

11 PARIZEK: Parizek, Board. We've heard a lot about a
12 lot of shipments, and I guess everything seemed to have
13 gone more or less as planned. We understand there was a
14 lot of engineering judgment used, and then we have finite
15 element modeling that comes out and adds another dimension
16 to the analysis routine. So all of this, if we go back 30
17 years ago and think about shipment, it's performed as
18 planned and is more or less, you know, the experience is
19 as good as what you had hoped? I'm thinking about this in
20 terms of the Yucca Mountain Project in general, how to
21 anticipate how that's going to perform, and in 30 years,
22 you'd like to feel good about the decision to operate 30
23 years and say it's just like we hoped it would be. Is
24 that true for transportation, or were there surprises, and
25 you had to do some fix-ups along the way?

1 DOHERTY: Doherty, Naval Nuclear Propulsion Program.
2 It's interesting because back in--I've been in the
3 program a long time, and when I came in the very early
4 Sixties, we were still working on that old fashioned M-
5 130, which we are about to retire, and it was designed
6 very conservatively with a lot of margin. It was designed
7 originally to ship wet. We had heat exchangers that
8 mounted on the rail cars. We even had some shielded
9 container to hold fission gases, or something, all of
10 which were just unnecessary and ended up being stripped
11 off.

12 But in all the years I've been in the program, I
13 don't remember any significant problem. There are
14 problems. there are always problems. The M-130 head has
15 bolts that hold the head on. Every now and then you'd
16 gall one of the bolts and you had to go in and grind out
17 the hole or put an insert in. It's that kind of a
18 problem, not ever a problem with meeting function.

19 PARIZEK: Thank you.

20 ARENDR: Paul Craig had asked a question earlier, and
21 John Kessler was going to respond, and we've got time now,
22 so he's agreed to ask the question and offer a response.
23 John, thank you.

24 KESSLER: John Kessler, EPRI. Paul had asked a
25 question earlier about who was responsible for looking at

1 aging during dry storage for the existing dry storage
2 systems. The answer is the utilities are responsible for
3 that. What are they doing? There is currently a project
4 being funded jointly by NRC Research, EPRI, DOE/EM and
5 DOE/RW to look at one of the particular casks that's
6 sitting at INEEL, the casker cask. It's been there about
7 15 years fully loaded with spent fuel for that whole time.

8 The interest is is that current spent fuel
9 storage systems are licensed for 20 years only. Virginia
10 Power is going to have their license expire in 2006, and
11 there's some interest to understand, you know, what's the
12 basis for being able to extend that license beyond 20
13 years. So this project is part of that effort to develop
14 a basis for extended storage by looking at any potential
15 degradation in this particular cask.

16 There's also an ASTM committee that's meeting to
17 develop standards for looking at aging of dry cask storage
18 issues. So that's what's been happening in terms of that
19 issue, to answer Paul's question.

20 Getting back to the last issue we talked about
21 regarding experience during shipment, we've asked in
22 Europe about activities in terms of EDF shipping to spent
23 fuel reprocessing, what is it like when it gets there?
24 Also, in Sweden, what's the experience in terms of when
25 the utilities ship to CLAB, their interim storage

1 facility, what is it like when it gets there? The
2 anecdotal evidence, and we're trying to track down some
3 actual physical reporting, is that they haven't found
4 anything that started out intact that wasn't fully intact
5 when it got to the end of the line, so to speak. I'm
6 trying to find some references to verify that.

7 ARENDT: Thank you very much. We have someone from--
8 yes, ma'am? Identify yourself, if you would, please.

9 GOFF: Sure, thank you. I'm Jackie Goff with the
10 Department of Transportation Inspector General's Office.
11 We're getting ready to look at internally what DOT is
12 doing that's preparing for this. So that's why we're
13 here. But I find it interesting while this is about
14 transportation, a couple of the earlier presentations, for
15 example, the forum, there was no mention of DOT other than
16 they can come. It was on the sly, but no mention, they
17 can be involved if they wanted to.

18 And on the stakeholders, on the next presentation
19 of all the stakeholders, it was then anecdotally
20 incidentally mentioned that there were two parts of DOT
21 that could be informed if they wanted to, but I guess
22 they're not considered stakeholders, if you will, although
23 the transportation.

24 It was very interesting what the Navy is doing,
25 but the Navy is not--is outside, obviously, the

1 transportation regs. and the piece that we have, and it is
2 our understanding from FRA that those new cars you're
3 talking about have not been upgraded for their brake
4 system. And so for FRA, when they're not told ahead of
5 time, they can't inspect, but they haven't been upgraded.

6 So I guess my only question is I'm interested in
7 to what extent here today you're going to get into other
8 transportation issues, not within the Naval portion of
9 INL, where they're only transporting it within there, but
10 the transportation that most people are concerned about,
11 which is going from East Coast, West Coast, or all the
12 routes that you're talking about.

13 So I'm just asking for a sensitivity for the rest
14 of the day to presentations, if you have any information
15 on that, if you could add that, because that would be very
16 helpful I think.

17 Thank you.

18 ENGLISH: Ray English from Naval Reactors. I
19 appreciate the comment for the need for sensitivity from
20 DOT. Regarding the brakes on the M-140 container cars,
21 the M-140 container cars did go through extensive dynamic
22 testing and were certified by the Association of American
23 Railroads to meet all their requirements when they were
24 built.

25 I think what you may be referring to is that the

1 AR is developing a new type of electronically
2 pneumatically controlled braking system, and we are
3 evaluating that. But those cars right now currently meet
4 all AAR requirements.

5 CARLSON: Jim Carlson, DOE. Just for clarification
6 on the slide that showed the membership to the TEC, those
7 are members. We also have a number of participants. DOT
8 is a very active participant, as I mentioned. Three
9 administrations actually participate. FRA has been very
10 active for a long time. Federal Highway through
11 particularly the Motor Carrier Safety Administration, has
12 been very active in the routing area. And the Research
13 and Special Projects Administration, who actually
14 promulgated the routing, has also been very active. We do
15 have regular reports on the DOT activities that go on and
16 attendance at the meetings.

17 ARENDT: Do you want to make any comment, Bob, or
18 Chuck? Very good. Okay. Does anybody else have any
19 question they'd like to raise?

20 (No response.)

21 ARENDT: We're going to--I think what we'll do is
22 we'll break early here. It is now almost 11:15. Instead
23 of coming back at 1 o'clock, how about coming back at
24 12:45. Does anybody have a problem with coming back at
25 12:45? Chuck, are you available at 12:45?

1 DETTMANN: I'm available to do it now, if you'd like.

2 ARENDR: Do you want to finish yours now? Why don't
3 you come up? Why don't you come on now then.

4 Chuck, Bill just points out there are people that
5 wanted to hear your presentation, and they plan on coming
6 to hear it and they won't be here. So why don't we do--I
7 guess why don't we just go ahead and break, and get back
8 at 12:45 or 1 o'clock. 12:45, I guess. Let's shoot for
9 12:45.

10 (Whereupon, the lunch break was taken.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2

3

4

5

AFTERNOON SESSION

6 ARENDT: Good afternoon. We'd better get started.

7 Those that are out can catch up when they get back.

8 We have as our first speaker today Chuck
9 Dettmann, who is the executive vice-president, Safety and
10 Operations with the Association of American Railroads in
11 Washington, D.C. Chuck is going to tell us a little
12 something about railroad human factors.

13 DETTMANN: Thank you, John.

14 Before I get into the human factors, I would like
15 to say that we in the railroad industry, not only the AAR,
16 and when you speak about longevity, I've been 37 years
17 coming up through railroad operations for the first 29 of
18 them, and spent the last eight in Washington with the AAR.
19 So I'm an engineer out of Georgia Tech, and then went to
20 Harvard and Northwestern. So I understand what we're
21 trying to do.

22 We in the railroad industry very much consider
23 ourselves partners with all of you in trying to develop a
24 safe transportation for spent nuclear fuel as we all work
25 forward together.

1 We were asked to talk about railroad human factor
2 safety issues, so that's what here for the next few
3 moments I'd like to discuss with you. After this, Bob
4 Fronczak will be talking about our performance standard
5 piece, and I'll be glad to get into that following Bob's
6 presentation.

7 So the discussion this afternoon is going to be
8 dealing with four issues. Number one, the current state
9 of railroad safety; two, fatigue; three, crew change
10 requirements. This is a little fuzzy, but I thought it
11 was important because there's a lot of rumors that go
12 around this industry that I wanted to clear up to the
13 Board. And, four, a new program that we've started in the
14 railroad industry, crew resource management.

15 The railroad industry employee injury rates
16 versus other industries I think is important. When you
17 look at railroads, wholesale and retail, i.e. clerks here
18 in the hotel, at Wal-Mart, anywhere else, mining,
19 agriculture, construction and manufacturing, lost workday
20 cases per 100 full-time employees in 1998, the railroad
21 industry was safer for its employees than other
22 industries.

23 Our injury rates in the transportation sector,
24 and these are injuries to employees, again, airlines,
25 transit, trucking, barges and rail, we are the most safe

1 transportation industry for our employees in the United
2 States.

3 When we look at overall safety, train accidents
4 per million train miles, which we feel is the most
5 appropriate way of looking at it, human factors is the
6 largest--human factors and track, and when it comes to
7 equipment, and then other, let me discuss this here a
8 little bit. This is as reportable to the Federal Railroad
9 Administration. It is any accident that incurs over
10 \$6,500 damage. One of the documents that I read on the
11 way out said that the reportable to the Motor Carrier
12 Safety Administration is \$50,000.

13 So I think as we look at the statistics, we've
14 got to be careful about what we're doing. The vast
15 majority of these track accidents are slow speed accidents
16 in yard tracks. So that's the reason why the anomaly of
17 track there.

18 Train accidents per million train miles,
19 significant reduction since 1980. This is back when the
20 re-regulation happened. We were able to act more like
21 commercial operations, and we have seen a steady
22 improvement here. We've sort of levelled out. We
23 recognize that, and I want to talk to you again, the human
24 factor piece, which is the largest piece and the hardest
25 one, truly, to address, is one of the things that we want

1 to get at by our crew resource management program that
2 I'll be speaking to.

3 Hazardous material train accident with a release,
4 and you can again see the significant improvement,
5 although we have levelled out somewhat. I think the most
6 significant piece is right there, 99.996 per cent of car
7 loads of hazardous material are accident release free in
8 the United States.

9 So when we look at human factors caused train
10 accident, again, it has plateaued, slight growing here in
11 the last couple of years, and then if we level it per
12 million train miles, we've seen a significant reduction in
13 the early Eighties, and it has begun to flatten out now.
14 But it has flattened out still at a rate that is
15 significantly, let's say, better than what we have seen in
16 the past, or in comparable forms of transportation.

17 The next topic, fatigue. Fatigue is something
18 that has been under consideration not only in the railroad
19 industry, but in all of transportation for many, many
20 years by the government, by NASA, by NTSB and all others.
21 We began our effort in the railroad industry in 1992 as a
22 cooperative program between our two largest unions, the
23 Brotherhood of Locomotive Engineers, and the United
24 Transportation Union and the Railroads. We got together
25 and said what can we do about fatigue. Again, this was

1 eight years ago.

2 We began to look and we started out with no
3 preconceived ideas. We began to look at data. The review
4 of the data, and this was the largest study that has ever
5 been done in any transportation industry in the world, we
6 looked at over 6 million engineer start shifts to
7 correlate fatigue, time on duty, safety, all of these
8 kinds of things. It was a landmark piece of studies that
9 we worked together, and it culminated in a national
10 agreement between the railroad industry, BLE and UTU,
11 where we set up committees on each railroad to address the
12 fatigue issues.

13 Now, in our industry, as in aviation and in
14 marine and highway, there are significant economic
15 interests that are surrounding this thing called fatigue.
16 And fatigue is not a very cleanly identified piece. I
17 think research has shown, and Martin Mulreed and a lot of
18 the others, you know, the person least able to tell you
19 that you're fatigued is yourself. You always feel that
20 you can go ahead and get on with it.

21 In any event, we set up committees on each
22 railroad that worked outside of the traditional labor
23 relations piece to address fatigue.

24 Research on individual railroads, we came up with
25 the help of Circadian Technologies out of Boston, a thing

1 that was tried on the railroads in Canada called CANALERT,
2 where instead of, as the traditional railroad operation
3 is, is that you have trains that run and you have rotating
4 crew schedules that when you get to first out, you catch
5 the train. They said let's do it differently. Let's have
6 a pool of crews that are set up to work in time pools, and
7 they catch whatever train that is coming through. Radical
8 thinking. Never been done before in the industry. It is
9 being implemented throughout Canada, and various places in
10 the U.S.

11 Now, one of the major considerations in the
12 railroad industry is there are no two crew districts or
13 train schedules or things that operate the same way. Some
14 crew districts are 350 miles long. They take eleven hours
15 to get there. Some crew districts are 90 miles. And you
16 turn 90 miles out and 90 miles back. Lots of fast trains.
17 Lots of slow trains. Lots of them with all different
18 kinds of train speeds in there. So one of the things that
19 we have come up with is that there is no Silver Bullet,
20 there is no particular answer which we have been--
21 regulators and NTSB have been pushing for for years. But
22 what we have found through this research and the work that
23 we've done is there is no one size fits all.

24 We additionally, for the non-operating employees,
25 which are the maintenance away employees, mechanical

1 employees, clerical, and even the railroad officers in
2 times of distress, such as accidents, storms, what have
3 you, we are looking at the fatigue issues that are even in
4 the non-operating crafts as we speak. The FRA, by the
5 way, is a significant partner in all of these efforts with
6 us.

7 Our research findings. Accident potential
8 increases when a crew has been on duty more than nine
9 hours, and it is in the Circadian period between midnight
10 and 6:00 a.m. And we've talked about midnight to 6:00
11 a.m. is dangerous, the 6 million employee study said no,
12 it's not between midnight and 6:00 a.m., it's if you've
13 been on duty more than nine hours, an employee has worked
14 five consecutive permissible shifts with a greater than
15 ten hours on duty, or more than six consecutive
16 permissible shifts in seven days.

17 The railroad industry, Amtrak is one of them, has
18 readjusted the schedules based on the data that we have
19 come. What we do here is that we will notify crews, and
20 in our training programs, we bring this issue up between
21 midnight and 6:00, if you've been on duty nine hours,
22 there is a potential for an increase in an accident.

23 Any of you who are students of the fatigue issue,
24 Mark Rosekind, who was with NASA Ames and has not got his
25 own company that he's doing, did significant research in

1 commercial aviation and military aviation, and fatigue
2 cannot be changed. You can't do anything about it. The
3 only thing you can do is come up with counter measures,
4 recognizing when you're fatigued, recognize what the
5 Circadian rhythms are, and then come up with counter
6 measures with which you can mitigate fatigue. But you
7 cannot eliminate it. The human body will not allow it to
8 do so.

9 So what we are doing in the railroad industry is
10 we're assigning work days and rest days. Now, this may
11 seem a little funny if you're not in the railroad
12 industry, but when you're 24 hours, seven days a week,
13 through the holidays, through the weekends, all the time,
14 good weather, bad weather, having assigned work and rest
15 days, again, some of which is matching trains to crews
16 rather than vice versa. Minimum of eight hours
17 undisturbed rest between calls, 7:00 a.m. markups after 72
18 plus hours leave. What does that mean? We found out the
19 hard way. There was an accident in Kansas here a couple
20 years ago where a locomotive engineer had been on vacation
21 for two weeks. And tradition has had it over the years
22 that when your vacation or leave is up, you mark up at
23 midnight, the start of the new day.

24 Well, what we have found, and there was a
25 subsequent accident unfortunately, in any event, what we

1 found is the midnight markup, which is traditional in this
2 industry, is not conducive to getting people from their
3 leave cycle, which is normally work during the day and
4 sleep at night, to going to work at midnight, or whenever
5 else, so that we're going to a 7:00 a.m. markup. It seems
6 sort of simple when you've been around for 150 years and
7 there's so much tradition and culture associated with it,
8 that after you look at the data, you can find out there's
9 a lot of things we can do to improve fatigue.

10 Increased assigned service so everyone knows when
11 they're going to work and coming home. One of the big
12 things we have found, it is not the amount of time on duty
13 that addresses fatigue. It's the predictability of time
14 off. The predictability of time off has more to do with
15 "fatigue" and reducing fatigue, and how much time off
16 depends on how much sleep that you have. Okay? And how
17 much sleep that you have depends on how much you've been
18 working.

19 But in any event, there are a whole lot of
20 issues, prompt relief after twelve hours, standards for
21 lodging, improved accuracy of line ups, these are some of
22 the things that we have done.

23 To get into some of the more exotic things, and I
24 say exotic, time pools, we talked about time pools where
25 you match the trains to the crews. Sleep disorder

1 screening. We probably have looked at 50 per cent of the
2 craft employees in the railroad industry for sleep apnea,
3 and we have found it varies between 7 and 20 per cent of
4 our employees suffer from sleep apnea.

5 Sleep apnea is a disease. There is a way you can
6 control it. But if you don't know you have sleep apnea,
7 which you don't get your rest, and because of the way you
8 sleep, that fatigues you when you come back to work, and
9 this is the screening that the railroads are doing on
10 their employees to let them know--all we're doing is
11 letting them know that it appears that sleep apnea, that
12 you are subject to it, and then they are free at company
13 expense to go forward and deal with a treatment of choice.

14 Napping/employee empowerment. As I mentioned
15 when I started, I was an operating officer, assistant
16 train master, train master, superintendent, general
17 manager, all that stuff in the Sixties and Seventies, and
18 I have fired my number of employees for sleeping on the
19 job. In a little over one generation, now we are
20 encouraging employees to nap, train and engine crews.

21 now, it is very, very specific what napping is.
22 It is a 45 minute period of time, of which you're allowed
23 20 minutes to nap. And you tell the dispatcher where
24 you're going. The train either is in the siding, or the
25 train is on the main track where there's no conflict with

1 other trains, et cetera. But if you as an employee, for
2 whatever reason, feel that you cannot make safely your
3 objective terminal due to fatigue, you are free to nap in
4 the railroad industry.

5 Ongoing committee review, modification of
6 measures based on effectiveness. We are looking at this.
7 We have the work/rest committee that I mentioned. We
8 have a scientific advisory panel, which there's three of
9 the best independent scientific minds in the country, Greg
10 Bolinki of the U.S. Army who is the guru for the U.S. Army
11 for fatigue, Dr. Carlos Compretor, who is with the Coast
12 Guard, and then an academician in Canada, and his name
13 just left me, but I'll think of it who is working with us
14 reviewing what we are doing in the railroad industry as
15 far as fatigue is concerned.

16 The sum of all of this fatigue in the railroad
17 industry, and I leave it with you this way, the North
18 American railroads are the leaders in world transportation
19 in addressing fatigue. And this is recognized by NTSB, by
20 the National Sleep Foundation, and all of the others.
21 There is no other transportation group anywhere in the
22 world that is addressing fatigue like the North American
23 railroad industry.

24 So this gets a little murky, but I think we've
25 had some of our folks at the National Transportation and

1 Safety Board making noises about how railroad engineers
2 can work 432 hours and truckers can work 250 hours and an
3 airline pilot can work a maximum of 100 hours per month,
4 and isn't this terrible as far as what railroad engineers
5 are allowed to do.

6 Crew change requirements, this is hours on duty,
7 maximum per shift. Railroad engineers are 12 hours.
8 Truckers are 15 hours on duty. The new Motor Carrier
9 Safety Administration proposal is a trucker will be
10 allowed 12 hours on duty. An airline pilot on duty is
11 allowed 15 hours. 15 hours. Okay? Barges are 12.

12 Now, as far as operating the locomotive, the
13 aircraft, the barge, the truck, railroads are 12, the
14 existing motor carrier can operate ten hours out of 15 on
15 duty. 12 and 12 for both the proposed motor carrier and
16 barges, and the pilots can fly eight. Fly eight, on duty
17 at 15. That is from push back at the gate to engine
18 shutdown at the gate. That's what that means. Okay?

19 So, I mean, the pilots, and I've got a lot of
20 good friends who fly and, you know, they live in exotic
21 places, and they'll fly for hours to get to their job, and
22 they'll go to their job, you know, and they can only fly
23 for eight hours, but they can be on duty for 15, but they
24 have no requirement about where they come from or how long
25 it gets to.

1 So we were singled out in the railroad industry,
2 unfortunately by a few, because of this. It says
3 theoretical maximum hours per month. Well, our hours of
4 service regulation says that if you work 12 and were off
5 eight--worked 12 and were off eight, theoretically, you
6 could work 432 hours a month. Truckers could work 250
7 hours a month. The new proposal is they can work 300.
8 Theoretically, on duty, an aircraft crew can be on duty
9 420 hours a month, and 350 for the barges.

10 Operating--this was on duty, I'm sorry--
11 operating, theoretically, 432, you know, 280. 300, they
12 can only operate 100 hours a month, and this is where the
13 railroad employees operate 432, and you can fly 100 hours
14 per month, 350. When in reality, this is what the
15 distribution looks like for TE&Y employees that are out
16 here.

17 By and large, for the 160 or so hours a month, or
18 170 that most 40 hours of work, four and a third weeks, et
19 cetera, 172 hours, that's where the vast majority of our
20 people are. Yeah, we have a few out here, and these are
21 the ones that we are working with our labor organizations
22 to address.

23 We have agreements that provide you can get so
24 many miles per month, so many hours per month. They're
25 agreements from the late 1800s, things that were working,

1 and we are working very closely with our labor
2 organizations addressing this. But by and large, the vast
3 majority of crews that operate your trains on our
4 railroads in this country are operating within, you know,
5 160 to 200 hours per month.

6 Now, just some of what we're doing, one of the
7 major things that we're addressing now is crew resource
8 management. NTSB recommendation in 99-27 following a
9 fatal train collision at Butler, Indiana on March 25,
10 1998, develop for all train crew members, crew resource
11 management training that addresses crew member
12 proficiency, situational awareness, effective
13 communication and teamwork, and strategies for
14 appropriately challenging and questioning authority. I'm
15 sure many of you have heard of this last one, the Korean
16 airliner that went down over in Guam, and all of these
17 others. You hear these things around.

18 This accident, by the way, is there was Norfolk-
19 Southern had us, had and has a requirement that new
20 engineers have mentors, and that they only go to work with
21 their mentors. Well, it turns out that when this new
22 engineer reported for duty the night of this accident, his
23 mentor had laid off due to some family illness or
24 something, and another engineer took it. Well, he wasn't
25 supposed to work unless the mentor was there, but they,

1 you know, oh, come on, let's go.

2 Well, it turns out the other engineer sat over
3 there reading a book, and the way the territory was, that
4 the engineer, the new engineer was not familiar with the
5 territory, missed a signal at an interlocking, ran through
6 the conrail train and the conductor was killed. So NTSB
7 said that you guys in the railroad industry need to get
8 after crew resource management.

9 What we have done is we looked around. We do not
10 suffer from not invented here. We looked around and we
11 said what are the best practices out there in military and
12 aviation. It turns out Southern Pacific, before the UP
13 merger, had done a portion of a crew resource management
14 based on US Air, based on American Airlines, based on the
15 military, with a lot of the in cabin flight crew examples
16 that they show in crew resource management for aviation.

17 So we, with their permission, plagiarized that
18 and brought that into the railroad environment. Well-
19 developed, structured training exercises, performance
20 measures and feedback mechanisms. The results. In
21 aviation, there had been 8 to 20 per cent more teamwork
22 behaviors by cockpit crews that have been trained on crew
23 resource management rather than not.

24 And as we have found, those of us in the safety
25 business over the years, rarely is there one incident that

1 causes an accident. It is an accumulation of incidents
2 that all of a sudden the crew awareness is not that we
3 have this accumulation of small incidents, and one or two
4 is just enough to cause a significant problem.

5 In any event, what we have done in the railroad
6 industry, and this is within the last 60 days that we have
7 put this out, customized for each railroad, offered free
8 to the short lines and others, free throughout the North
9 American industry, we published the Crew Resource
10 Management manual, about that thick, produced a video for
11 wide distribution, again, customized for each of the
12 larger railroads, begun training of the train and engine
13 crews, worked closely with FRA, BLE, UTU, short lines and
14 others in designing this program and implementing it
15 throughout our industry.

16 What other things are happening? We've had, and
17 we will continue to have because safety is good business,
18 massive safety programs for all employees. There was a
19 piece in some of the documentation about how our federal
20 government has been responsible for the significant
21 improvement in rail safety over the years. I would submit
22 to you that the federal government is a part of
23 improvement in safety. The railroads and their employees
24 have done a significant amount of improving safety in this
25 industry in the last 20 years.

1 T&E crews, signal and train dispatchers, all of
2 these have random and post-accident alcohol and drug
3 testing. We are the lowest in the industry, less than
4 one-tenth of one per cent positives on drug and alcohol.

5 Operating rules training. Every other year,
6 massive training on simulators, et cetera. So there's a
7 significant training effort that goes on with our safety
8 programs.

9 So in conclusion, our safety record is very good
10 and we're striving for continuous improvement. North
11 American railroads are in the forefront on industrial
12 research and application on fatigue.

13 But I would offer to you science and flexible
14 application, not regulation, is what guides fatigue
15 counter measures, and understanding what fatigue, the part
16 that it plays in safety. There is no one size that fits
17 all.

18 And, finally, as the Crew Resource Management
19 Module we show, we have no pride. Anything that can
20 improve safety, such as we're willing to reach out to
21 aviation and the military and others through our oversight
22 advisory board, we're willing to do to improve safety in
23 the industry.

24 So, John, that's the fatigue and human factors
25 piece. I'd be glad to take any questions.

1 ARENDT: Questions? Excellent presentation.

2 DETTMANN: Thank you.

3 BULLEN: Bullen, Board. I'd also like to echo John's
4 comments about the excellent presentation, and found it
5 very informative.

6 I guess the question I have is with regard to the
7 data that you have on accidents. Do you find that--well,
8 I guess it's a mix. Do you have dedicated trains that
9 have hazardous materials on them associated with it, and
10 do you find that the fatigue or the awareness of a
11 dedicated train would be greater or less than that of just
12 a standard shipment?

13 DETTMANN: It's not that simple. We have what we
14 call key trains, key trains that have a percentage of
15 hazardous material on them that take special precautions
16 in operations, not unlike dedicated trains. The key
17 trains are in regular pool service. Okay? As I
18 mentioned, the crews, when you get up to a first out, you
19 know, if it's a key train, you take it, and our crews,
20 when they have the potential of catching a key train,
21 Hazmat train, they get additional training in that.

22 Now, dedicated trains can be either pool crews or
23 dedicated crews, and that is something that we work out.
24 It's just like the comments that Ray made earlier.
25 Sometimes they run them through Kansas and Colorado, the

1 UP does, west from Kansas City, sometimes they take them
2 up over the Marysville Sub. A lot of it is crews, what
3 the crews availability, and things like that.

4 We have not, as of this point in time, said
5 whether dedicated crews are safer than regular crews. I
6 don't know how we'd get to that. However, we have
7 underway a significant study on the relative safety of a
8 dedicated train, such as what Bob is going to be speaking
9 to with our performance standard, not in the past, what a
10 dedicated train, because of the new technology and the
11 changing environment that's around us, what that means
12 versus the regular train service.

13 BULLEN: Just a little followup on that. You
14 mentioned fast trains and slow trains. And if we have a
15 dedicated train for a nuclear waste shipment, for example,
16 and it's a slow train, does that really fowl up everything
17 else in the entire system?

18 DETTMANN: It can. It can. Our preference is,
19 because we design a system that works together, which is
20 what you'll be seeing, that we operate those trains and
21 they will be capable of maximum track speed. One, there's
22 less exposure for the material. Number two, if we've done
23 the testing right and we've got all the instrumentation
24 that you'll see, it will be a safer shipment. There is no
25 need to have the 1970s style requirements that we brought

1 in when we didn't know a lot. A lot of other folks did.
2 As Ray's safety performance shows, we've done a lot
3 together over the last 30 years.

4 But where we've had, what, 700 since 1956, we're
5 going to be having 400 a year for the next many, many
6 years out here. There is a C change of volume here in,
7 and I'm sure all of you that read the papers know that
8 there's congestion and some problems in the railroad
9 network from time to time, that when you put a train out
10 there when you've got everybody else running 60 and 70
11 miles an hour, and you put one up there at 35 miles an
12 hour, all it's doing is going in and out of sidings. And
13 that is not the safest way to operate a railroad.

14 BULLEN: Thank you.

15 ARENDT: Paul?

16 CRAIG: Paul Craig, Board. I'd like to ask you to
17 expand a little bit on the idea that you mentioned that
18 you'd need a series of events, or usually find that
19 there's a series of events that lead to a disaster, or
20 lead to an accident, would suggest you get some warning
21 signals. And I was intrigued by the remark, and it has a
22 number of implications to it that I can think of.

23 DETTMANN: Well, let me give you a couple of
24 examples. One, the one in Indiana, number one, the mentor
25 wasn't there. Number two, the new locomotive engineer did

1 not insist when he got to a point where he was
2 uncomfortable, he didn't know where he was, and this was
3 at nighttime now, this was at nighttime on an intermodal
4 train running 70 miles an hour, that he lost where he was.
5 Then there was the long end of the engine was running
6 forward in a left-hand curve, so he couldn't see the
7 signal. Rather than I want my mentor or you take the
8 train, number two, you're not my mentor, but you sit with
9 me.

10 Number three is the conductor was over there and
11 he was not performing his duty, looking out for the
12 signal, what's the signal that's coming, or I'm lost where
13 I am, I sit down and take the train. All of these things,
14 just like there was one of the more stark examples of the
15 crew resource management in aviation, is that here's the
16 flight crew and they're taking off, and the bells and
17 whistles go off. Engine failure. And so they're doing
18 all of this stuff, and engine failure, and all of a sudden
19 they're calling out things in code rather than the right
20 language. And it was check the engine for shut down, but
21 which meant which engine is shut down, rather than the co-
22 pilot was reading it out and the captain was sitting over
23 there and he reached up and he turned off the engine that
24 was working.

25 So we had an engine failure on one, and the one

1 that was working, because of the lack of communication,
2 and these were pieces that fit together, and this is where
3 situational awareness and crew stuff is, if you begin to
4 see these things come up, you say woah. You begin to
5 challenge authority, that the engineer on the Norfolk-
6 Southern train did not challenge authority.

7 The 747 KAL that went down in Guam, the other
8 members of the crew, which there was a relief captain and
9 there was the co-pilot and flight engineer, all knew they
10 were--that, number one, the ground proximity warning was
11 out at Guam. Number two, it was in a storm. And, number
12 three, they were flying too low without it, but none of
13 them spoke to the captain because he was an old Korean Air
14 Force, you know, rough and tumble guy, didn't challenge
15 the authority of the captain, and they went in.

16 So these are the pieces. When I say that, there
17 are small things that if you are trained to look out for,
18 can lead up to where you're at the point of no return, and
19 that's what the whole crew resource management piece
20 addresses.

21 ARENDT: Any other questions?

22 (No response.)

23 ARENDT: I guess not.

24 DETTMANN: Okay.

25 ARENDT: Thank you very much.

1 DETTMANN: Thank you. Glad to be here.

2 ARENDR: Our next speaker is Garrick Solovey from the
3 precision Components Corporation. Garrick has been
4 employed by PCC from 1966 through '83, and he rejoined in
5 1996, and his current position is vice-president,
6 Corporate Business Development, Strategic Planning. He
7 has 25 years of operations management and technical
8 responsibility. He has a BS ME from Drexel University,
9 and a master's in Engineering Science from Penn State.
10 He's a professional engineer in Pennsylvania and Virginia.
11 He's received a number of awards in professional
12 activities from ASME, and so on.

13 Garrick, we're glad to have you this afternoon.

14 SOLOVEY: Thank you very much. It's certainly a
15 pleasure to be here.

16 The degree to which we let human factors
17 influence the outcome of any activity is really a measure
18 of tolerance for risk. And, of course, in this business,
19 the nuclear industry, there's very little tolerance for
20 risk. And what's I'd like to do over the next few minutes
21 is describe how, during the manufacturing process, we
22 control, manage and direct human factors to our benefit.
23 I'd like to, and I guess it's appropriate, to have a
24 little disclaimer that my comments certainly reflect those
25 of my experience in the company, and there are several

1 good fabricators out there who I certainly would probably
2 share very closely the thoughts which I'm expressing
3 today, and I would have no qualms at all about going to
4 them and putting work into their facilities.

5 But as this market begins to grow, there's going
6 to be people that will want to get into this market. The
7 industrial base in this country, particularly in the basic
8 industries, both in welding and machining, is not at the
9 levels it was 20 or 25 years ago. So I think at this
10 point, we're going to start to see some new folks get in,
11 because there is a market there, and they feel that
12 there's opportunity. But possibly you could use this
13 presentation as a benchmark to compare it against new
14 folks coming in and how they might approach the
15 manufacturing business of casks.

16 And by the way, even though this is geared to
17 transportation casks, I would say that you could apply
18 this to currently the storage cask, and most any nuclear-
19 related manufacturing.

20 Basic discussion. I'd like to break the
21 discussion basically down into some discussion on
22 transportation cask characteristics, talk a little bit
23 about four aspects of quality, which is directly relatable
24 to this subject, talk about how we look at controlling and
25 managing human factors, what are the challenges, what are

1 the success factors that a manufacturer can achieve will
2 give a good product, a product that certainly meets all
3 the quality and customer expectations, and then summarize
4 and talk a little bit about the results of the discussion.

5 Transportation cask characteristics. PCC was
6 formerly an Allis Chalmers company, and we've been in the
7 nuclear business for over 30 years. In fact, during Mr.
8 English's presentation earlier, he showed you an M-160
9 cask, and that was our entre into the cask business. As
10 long as everyone is sharing how old they are, that was my
11 first assignment when I got out of college, was to work on
12 that project. Really a sobering thought how many years
13 ago that was. But that cask has been around for 30 years,
14 and in operation.

15 Since that time, we've probably built over 150
16 different types of casks and canisters of all different
17 types and materials and constructions, and that's one of
18 the things I want to talk about. But most recently in the
19 early Nineties, we really began heavily into the
20 commercial nuclear aspect for the utility business. So we
21 still do work with the Navy, but the cask business and
22 container business right now represents about 60 per cent
23 of our business.

24 This schematic represents a TN-68 dry storage
25 cask. It's mislabeled, in that now it's also going to be

1 a transportation cask. These are casks that we're
2 building for Pico Electric. We've delivered three of them
3 so far. This cask will be used on their site for their
4 dry storage cask program, with the option to be able to
5 transport.

6 TN has a variety of different casks. We built
7 the TN-32s for Virginia Power and the TN-40s for Northern
8 States, and some TN-32s for Wisconsin Electric, and it's a
9 very economical design, good use of materials.

10 As you can see from the description, we have
11 combinations of gamma shield, which is basically a carbon
12 steel inner shell, which is shrink fit into an inner
13 stainless steel shell. That full length is shrink fit.
14 We actually heat up components in the oven, in our
15 furnaces, before we put these units together. We did
16 stick the first one, but we've built 50 since then, and I
17 think we've learned how to do that fairly well.

18 The outside, there are aluminum boxes which
19 contain neutron shielding material, which is a resin type
20 mixture. You can see there is a closure, a bolted closure
21 design, which is certainly critical to function. The
22 trunnions, in some cases, they may be welded on or bolted
23 on, which is also an important feature to safety.

24 Internally in this cask, there is a basket. The
25 basket also is very critical. Baskets come, there's

1 different designs, this particular basket is a combination
2 of layered material using borated aluminum between the
3 cell sections. So this particular cask is very popular.
4 It was licensed several years ago as a storage cask. Now
5 it's moving into the transportation arena also, and we see
6 that this could be a very good economical solution to both
7 storage and transportation in the future.

8 This is a picture of how the cask looks when it's
9 put together. You can notice it's painted, and this is
10 basically the transport frame that is used for transport.
11 We typically transport these by truck. This cask is a
12 100 ton order of magnitude, and fully loaded--one of the
13 things, too, which constrains utilities is the ability in
14 their fuel buildings to be able to handle things much over
15 100 tons. Some utilities would not even be able to use
16 this. That's why they're going to the canister design.

17 Here's a schematic of the M-140, which you saw
18 earlier. This design, very simple, straightforward. As
19 you can see, it's 14 inch thick stainless steel, very
20 simple structure, a monolith, so to speak. The original
21 M-160, as was mentioned before, was basically two--was
22 inner and outer shells with approximately six to eight
23 inches of lead for use for shielding. Lead does have its
24 issues. Pouring lead is more an art than it is a science
25 in many regards. You also have to be able to gamma scan

1 that lead, and not too many companies can do it. You need
2 a facility where you can put the component and be able to
3 do a fairly good gamma scanning inspection of it.

4 Additionally, lead is not the most popular
5 environmental material these days. Originally, we did the
6 M-160 internally in our shop. But because of the
7 environmental concerns, as we do lead pouring now, we'll
8 send those out to be done.

9 Externally, you see they have fins for heat
10 transfer dissipation. As you notice with these casks, you
11 know, you typically have the structural integrity issues,
12 you have the thermal transfer issues, and then you have
13 your shielding issues.

14 These casks are very large, as you see in some of
15 these pictures, but they're not pressured, they're not
16 what you would call serious pressure retaining components.
17 They're basically a containment component, which the
18 inner, in the case of a multi-layer, the inner wall really
19 is your containment boundary, and that's the key factor in
20 that design.

21 This cask is a 100 ton cask, this is the cask on
22 our 150 ton crane going to our machine shop area. There's
23 a lot of both welding and machining challenges with this.
24 Putting those fins on is not an easy task. Going from
25 the lead to the monolith required us to look at narrow

1 groove welding as an approach to put this unit together.
2 So in some cases, you trade off one fabrication challenge
3 for another.

4 Now, most of these heavy wall casks, too, the
5 other thing that we face as a fabricator is material. On
6 a structure like this, you go to forgings where you have a
7 built up section. Where you're dealing with thinner wall,
8 you can go to rolled plate. Forgings, in this country,
9 we've lost a lot of our ability to make forgings in this
10 country. We go overseas, we go to Cruessot Morrel, we go
11 to Forge Masters, we go to Hanjong (phonetic) in Korea.
12 We can go to Japan. The big forge shops in the United
13 States do not exist anymore. So we as a manufacturer, we
14 are certified NCA 3800. We go over and audit these
15 facilities. But it takes about six months to get
16 forgings, and the material requirements are very
17 stringent, so we have to make sure that the material we
18 get has the proper traceability, and it's correct as it's
19 received in our shop.

20 In the whole scheme of things, material generally
21 represents half of fabrication costs, and a big portion of
22 our ability to deliver a product. A heavy wall cask like
23 this could take 18 to 24 months, with six months being to
24 receive the forging material.

25 This is another shot of the M-140 on rail cars as

1 it was leaving our shop.

2 Probably the most complex cask we ever did was
3 for the Japanese. We were the first American firm to
4 actually build transportation casks. NFT is nuclear fuel
5 transport. They are a consortium of Japanese utilities.
6 They purchased 40 casks. We completed nine casks for them
7 in the spring of '98. These casks will be used to
8 transport fuel from the various plants to Rokkasha, which
9 will be the reprocessing plant.

10 The cask itself, the body is stainless steel.
11 You'll see an inner chamber here with copper fins used for
12 heat transfer. We poured resin in between those channels.
13 To actually to be able to weld the copper fins which
14 extend the full length, we had to develop an optic system.
15 We actually had cameras inside. We actually welded this
16 thing vertically with cameras that looked at the front and
17 back wash of the weld to be able to inspect that.

18 It also has fins on it, external fins, which was
19 a major challenge in putting those fins, meeting the
20 tolerance requirements and so forth. It's a bolted
21 closure, has trunnions, which were bolted, and we provided
22 the impact limiters for shipment.

23 The impact limiters is another testy challenge
24 for many manufacturers. Impact limiters, as you know, are
25 usually a thin type material, usually stainless steel, and

1 internal to the impact limiters, there are various
2 options, use a honeycomb design for crushing. Some people
3 use tubes, aluminum tubes. Others may even use plywood.
4 In the case of the Japanese, they use plywood.

5 You can see here also there's a basket which I'll
6 talk about in a minute, but this particular cask was an
7 extreme challenge. It took over two years to manufacture
8 one individual cask, a lot of forging material, plate
9 material.

10 You talk about inspections, on a particular cask
11 like this, we did three inspections for every hole point.
12 We did one for ourselves with their resident inspector
13 there, and then we did an inspection with the NPT people
14 there, and then we did the same inspection with their STA,
15 which is their science and technology equivalent to NRC.
16 They came over and we repeated the inspection three times.
17 So we did get experience in dealing with the Japanese.

18 As you will notice on this sketch here, this was
19 the size, 150 tons, notice the high polish. Japanese
20 require these to be a mirror finish, though admit that it
21 doesn't mean anything relative to what it does, but they
22 want a high polish on it, because to them, that means
23 quality. So we provided the frames and the cask.

24 This is the basket, interesting design. It's
25 borated stainless steel. Borated stainless steel is not

1 permitted in designs in the United States, but it is
2 permitted in Japan. It's an egg crate design where you
3 actually water jet cut the various structures, put the
4 plates together, and then put tie rods and weld corner
5 braces on. This particular basket was an interesting
6 challenge, particularly after you get through the first
7 basket. But the borated material in itself, whether it's
8 borated stainless steel or borated aluminum, there's an
9 issue whether isotropic material, it does tend to move on
10 you. Tolerances are tight to hold. We were able to find
11 with water jet cutting and not machine, we were able to
12 hold the tolerances that were required.

13 There are other different types of construction.
14 Today as we speak, one of our casks, MP-187, which is the
15 Vectra design, is being received at Ranchosico (phonetic)
16 for SMUD. That design was a combination of resin and
17 lead. So you run into, as you get into these various
18 fabrications, different types of materials of
19 construction. Sometimes you could do it with plate. Many
20 times you need forgings. You get into dealing with resin,
21 how you deal with that, how you deal with lead, deal with
22 fins, to deal with the design requirements.

23 We as fabricators these days, things have changed
24 somewhat from what they were when we designed and built
25 the M-160. There are now designers out there who actually

1 will come to fabricators to have these things built.
2 There are no fabricators that actually do the whole design
3 build anymore. In Japan, it's a different story, where
4 the actual fabricators like Mitsui-Zosen and Hitachi-Zosen
5 and Kobe and so forth, Mitsubishi, they will actually
6 design and build. So in this country, we have designers,
7 who then provide to the fabricator a specification
8 package, and it's almost treated as a build to print
9 project.

10 Ishikawa basically said that there were four
11 aspects of quality. Quality is how we meet the technical
12 requirements and expectations of the customer. Cost, how
13 efficiently we can build the product. Delivery, what our
14 performance would be in providing that product. And then
15 service, how do we deal with it after the product has been
16 completed and in the field. And I'd like to kind of--
17 those are kind of key drivers in this discussion relative
18 to human factors.

19 There's no doubt that human factors influence
20 these aspects of quality. Most of the technology to build
21 casks exists. Now, with some fabricators, more so than
22 others, some do not have those capabilities. But like
23 anything else, those can be learned. The issue I think we
24 all face is how do we meet, through the people we have and
25 the things we have, how do we achieve those aspects of

1 quality in our operations.

2 When I tried to jot down examples of human
3 factors, these are probably the key ones that come to
4 mind. Certainly competency and expertise of the
5 fabricator is extremely important. As the market starts
6 to mature and there's more repeatability of work, the more
7 you learn, the more you can take advantages of your
8 initial investment in learning how to make these,
9 developing new processes, new technologies. But
10 competency and experience, there's nothing that replaces
11 that for a fabricator, particularly in this business, to
12 get that repeatability of making these.

13 Material procurement and traceability. I
14 mentioned that before. That's as critical as actually
15 making the cask, is finding material suppliers that can
16 meet the quality requirements necessary to begin
17 production, providing the certified material test reports,
18 doing all the preliminary testing that needs to be done,
19 making sure that all quality requirements were met during
20 the forging process or the plate process.

21 Work instructions and communications. Here
22 again, internally, the people that are in the shop have to
23 have clear instructions on how to fabricate, how to
24 manufacture, how to machine. This is a critical link to
25 making sure that you end up with the product that you

1 want.

2 You also have to have the workmanship and
3 craftsmanship. Certainly these are skills that are
4 certainly being lost in this country, but the folks in
5 your shop are very key in having the right craftsmen and
6 the workmanship. Welding is not just something you do and
7 magically you get results. Welding is an art also, and
8 welding is extremely key, particularly on the containment
9 boundary. Without good workmanship and good quality
10 welds, the product is meaningless. There are ways to do
11 it manually certainly, but there's also ways to do
12 automated processes to become more efficient and more
13 repeatable. Automated process are certainly more
14 preferable over manual techniques because you do get that
15 repeatability.

16 Honesty. I can't emphasize that enough. I kind
17 of equate quality actually to an honest product, and
18 that's what I mean, is you have a product that meets every
19 expectation that you've been contracted to fulfill, and
20 the people in your shop, I'll talk about that a little
21 later, have to be honest, and you have to be honest about
22 what you're doing and honest to your customer. Bad news
23 is better than no news. You have to be honest in
24 everything that goes on in your fabrication.

25 And the priorities in production, and this will

1 relate back to discussion on the commitment of management.
2 You do not shift anything. That's what quality guys keep
3 telling me. We do not shift anything for the sake of
4 schedule, and that is the first rule. Priorities in
5 production as to what's important and why we're doing what
6 we're doing.

7 I guess if I were to answer the question how do
8 we control factors in manufacture, I'd look at probably
9 four building blocks, which I'll talk about. The
10 identification of the technical requirements, that's the
11 foundation. Certainly the establishment of the quality
12 systems and procedures, that's the operation that verifies
13 and puts the stamp on it and says yes, we've built this
14 product, it's met our expectations, and it's monitored the
15 fabrication of that product through the shop.

16 Independent oversight is an area more and more
17 we're seeing where there's more requirements to have third
18 party review. I think depending upon the performance of
19 certain fabricators has forced this issue to come to the
20 forefront, and we'll talk about that also in some of the
21 additional requirements that are being passed down. And
22 then finally develop training and culture. You don't
23 quickly get into this business. You have to have a
24 culture of people that really understand what the
25 expectations are, and you have to train those people to

1 understand that. And whether it's in the office with the
2 engineering people or in the shop floor, that becomes a
3 big investment because that's the investment of your
4 future, and we'll touch on that also.

5 When we look at the technical requirements, we
6 see that we begin with design documents and licensing, and
7 those are the documents that are the basis for development
8 of the fabrication specification. And the specifications,
9 that's where we start as a fabricator.

10 We then take that, we apply to it based on the
11 spec. those industry codes and standards that are
12 required. I think things today are starting to move, that
13 we're starting to get some standardization in some of the
14 fabrication areas, particularly I'll talk about the ASME
15 code in a minute. Equipment up to now has been built to
16 the code, but it's been done by picking certain aspects of
17 it, certain sections, maybe a section to requirement for
18 welding, and a requirement for certain examination.

19 Fabrication planning and procedures, this goes
20 back to communications. These are your documents that the
21 people on the shop floor see. They have to be clear.
22 They have to be understandable. And if they're not, it's
23 a place for disaster.

24 So let me talk a little bit about the ASME code.
25 The NRC about a year ago was very concerned that there

1 was not the third party oversight within the fabrication
2 shop, and they figured well, you know, let's invoke the
3 ASME code. The ASME code has been around for a hundred
4 years. it started a hundred years ago on a boiler
5 explosion in Boston, and since that time, it's become the
6 bible for pressure vessel design and fabrication.

7 Additionally, it's been something that provided
8 the authorized nuclear inspector an independent third
9 party, and the requirement that the fabricator provided a
10 stamp on that. But we're in a little different case here,
11 is that these particular casks are really not for high
12 pressure applications. We're focusing on containment
13 boundary, which is the key factor.

14 Additionally, the code really doesn't address all
15 the other things. The code does not address neutron
16 shielding, lead pouring. Those are not really part of the
17 containment boundary. But nonetheless, by taking code and
18 bringing it to a standard, we can now focus at least in
19 this aspect on making sure that the containment boundary
20 will be satisfactory.

21 There's a major rewrite going on. I have the
22 privilege of being vice-chairman of Division 3, which is
23 the new section of the code for this type of component,
24 and I chair the WA section, which is on general
25 requirements.

1 General requirement section will be adopted
2 probably at our September meeting, which will deal with
3 how the responsibilities are placed with regard to the
4 owner, the fabricator, and the designer.

5 WB and WC, these are a new section on
6 transportation containments. Notice we've gone to the
7 word containment. WC did exist, but that's also being
8 revised. These will be very comparable to NC-3200 design
9 by analysis section for Section 2 components in Division
10 2.

11 Let me just say a couple remarks with WA. WA,
12 which will be adopted this fall, will exist in the
13 following form. The organization that has design
14 responsibility will be required to have the certificate of
15 authorization, i.e. the N-stamp. So whoever is doing the
16 design will be responsible, whoever has design
17 responsibility. So typically a designer will apply to the
18 society, get their certificate. It could be a utility who
19 decides to take design responsibility on an existing
20 design, but there's where the responsibility held.

21 As a fabricator who does the basic construction
22 of the component, we will have an NPT stamp, and those
23 that might do, in cases where you have a field closure
24 that's not bolted, but welded, whoever does that will also
25 have to have an NPT as a minimum. And that we'll start

1 seeing next year in the new edition of the code.

2 WB/WC, I would expect to be available sometime
3 next June, and they will clearly define what the design
4 requirements are as far as normal operating and upset
5 conditions.

6 The authorized nuclear inspector will play a key
7 role now. And right now, I guess there's been a
8 consolidation in that industry now between Kemper and
9 Hartford. They will come in, and in the past when you're
10 in this business and you were doing a job, brought the
11 authorized inspector in and you agreed on several hole
12 points during the fabrication process. These guys will be
13 full-time in your shop right now, and that's where that's
14 headed. So as far as impacting the cost of the
15 fabrication, this will be major cost. And then of course
16 the N-stamp, and the N-stamp will be you signing off and
17 stamping the component saying you've met the requirements
18 of the code.

19 As I mentioned earlier, quality systems and
20 procedures, I always kind of viewed the quality system as
21 it being the oversight internal watch dog of the company,
22 having the program to whatever standard, NQA-1, 858,
23 whatever, to be able to say this is how we're going to do
24 business. This is how we're going to preclude situations
25 that are going to be unfavorable, minimize our mistakes

1 and how we're going to fully verify and document that
2 we've built these components in strict accordance to the
3 requirements.

4 Additionally, too, fabricators make mistakes, and
5 there will be mistakes. The key factor of any good
6 quality program is that those mistakes are found before
7 that product ever gets too far down the line, or leaves
8 the shop. And I think that's the key success factor. If
9 your quality program picks that up, and we're going to
10 talk a little about the culture later, about even the
11 people that are not quality related.

12 Inspection, acceptance testing, we've got
13 acceptance tests now that are much more involved than they
14 were in the basic primary system components. Helium leak
15 tests. Since we're dealing with components that really
16 are pressure containing and you're more interested in
17 containment, Helium leak tests, Helium, as we know can
18 seep through anything, and that's probably a more
19 effective test in the long run than actually doing a
20 pressure test. Pressure tests, from the standpoint of
21 pressure vessels, you pressure the thing to one and a
22 quarter or one and a half times the design pressure. That
23 was to get everything to set and seep, get your mating
24 surfaces together, get all the local deformations. You
25 really don't need to do that with a shipping cask. What

1 you're looking for there is that the welds will not leak,
2 and you can do that with a Helium leak test better than
3 you could ever do with a pressure test.

4 Documentation. When we ship one of those casks
5 for TN, we have a documentation package which we call a
6 history book, it's that thick, with every component with
7 ship. That's required. That's required by the designer
8 and the customer. That book has the total history from
9 the material, CMTRs, all the way to the final testing and
10 sign off. We try to do those things as we do the
11 fabrication, and get them signed off. But that document
12 gives you the ability to go back ten years from now to
13 look back and find out how that component was made if
14 there's a question.

15 In fact, the x-rays are there. You can go back
16 and look at all the welds that you had to x-ray on the
17 containment boundary to see if there was any changes.

18 Training and culture. I can't emphasize this
19 enough. People getting into the business now who don't
20 have a nuclear mentality or nuclear background many times
21 can't appreciate this. Proper attitude of the workers,
22 and I don't care if it's the guys in the shop or the
23 engineering department. We have a thing in our business
24 where no one does anything or turns anything over to an
25 inspector until they are sure that that product is right,

1 whether that's the machinist who can inspect that part on
2 the machine before he turns it over to the inspector, or
3 the welder. The welder knows if he put a good weld in.
4 Now, there may be some little inclusions that will get
5 picked up later on in RT, but he knows if that weld is
6 good, and our welders will not turn over that part to an
7 inspector if he thinks there's a problem with it. They'll
8 bring it to the attention of the engineering organization
9 to immediately address it. And that's just good business,
10 too. The quicker you get on it and take care of the
11 issue, the better you are.

12 Understand the customer's expectations. We do a
13 workshop every year at our place. We invite material
14 suppliers, customers, other fabricators in. And the first
15 year we did the workshop, we wanted to understand what
16 makes a successful project. And understanding a
17 customer's expectations came out on the list every time.
18 If you don't understand the customer's expectation, boy,
19 what are you working to. That is a key factor.

20 Management commitment. Let me give you a couple
21 of examples on that one. We have had four NRC audits in
22 the last five years. Now, the NRC really doesn't come in
23 and look and do detailed inspections. They come in and
24 look at your program and everything else like that. They
25 came to the president of the company and said, John, would

1 your people ever sacrifice shipping a product over
2 quality? John said absolutely not. And you could go talk
3 to anybody out in the shop floor, and they went out to
4 three people and they got the same answer. We would never
5 ship anything for the sake of schedule over quality. And
6 that's when you talk about culture, when people would say
7 that.

8 Now, another case is also on our routings and
9 shop followers, there's statements on our routings that
10 say, "Falsification of any data is a criminal offense."
11 Our people know that if they put anything wrong down, that
12 is a criminal--that's criminal. They're lying. We do not
13 tolerate it. If it ever happens, that person is out on
14 the street, and it's not that--that kind of business does
15 not exist in our company.

16 Everybody can't pick up everything. Let me give
17 you an example of what we did on welding, for instance.
18 25 years ago, one of our customers, who will go unnamed,
19 came to us and said, hey, how do you know that welder is
20 qualified to make that weld? How do you know he used the
21 right weld wire material? How do you know that that
22 inspector who inspected that weld is qualified? We
23 developed a barcode system 25 years ago, which that welder
24 on his badge has a barcode. He goes in the computer on
25 the shop floor, swipes it, and that tells him if he can go

1 make a weld. He can't go get weld wire unless that passes
2 through there. And the inspector cannot inspect if he's
3 not qualified to be that kind of inspector.

4 So it's not all up to the people. You still have
5 to put things in place which help people do their jobs.
6 It is very conceivable that a guy who's qualified to do an
7 overhead weld, he's one day past his qualification period.
8 That could happen. That could happen in any shop. But
9 this system will preclude those things from happening. It
10 makes it idiot proof. So you have to help your people.
11 It's the management commitment.

12 You develop the skills. You give the people, you
13 teach them how to do it. We have a weld lab where they
14 go, and they're not turned on the floor until they know
15 how to make that particular weld. You've got to give them
16 the resources, give them the right tools. You've got to
17 give them good technology. But most important, you've got
18 to have everybody thinking along those lines. Quality is
19 extremely important, and if we do things wrong, we're
20 going to put ourselves out of business, and that's the
21 last thing we want to do.

22 The independent oversight. This is a real issue
23 that's affecting everybody in this particular business.
24 And let me just kind of touch on this. Internal quality
25 control. That comes without saying we have internal

1 quality control. We have regulators. We have the NRC who
2 comes in, as I said, four times in five years to see what
3 we're doing. Customer inspectors, these are the
4 designers, the transnuclears, the hole techs, might be
5 NAC, or someone like that, someone who's in the designer.
6 They have full-time resident inspectors in our shop.

7 We have owner's inspectors. We've got Virginia
8 Power. We've got Wisconsin Electric. We've got Northern
9 States Power. We've got Philadelphia Electric. They're
10 all in our shop. We had to open up a floor of our
11 building for over 15 resident inspectors, providing them
12 telephones, fax machines. We also have our government
13 representatives there also. So it's very intrusive
14 oversight of what we do. It's there.

15 The authorized nuclear inspectors, that's coming,
16 but in fact SMUD decided they're going to do that ahead of
17 time. We have two ASME code full-time authorized nuclear
18 inspectors in our shop also, people watching over
19 everything we do all the way down. We welcome this,
20 though. We're not going to oppose it. Our shop is open.
21 In fact, as I was mentioning, NRC came up two weeks ago
22 and they're doing a video in our shop of the fabrication
23 process. We want people to come in our shop. It's an
24 open shop. We're not going to hide anything. They can go
25 and talk to anybody on the shop floor, and we trust our

1 people to have the right answers and know what they're
2 doing. That's the kind of culture that you have that you
3 can feel comfortable with an independent oversight.

4 The last point, the EPRI guidelines. That's
5 relatively new. Here again, about a year ago, I think NRC
6 realized in several discussions that the ASME code is not
7 sufficient to deal with all the other areas. Had an
8 opportunity to sit on the task force at the Nuclear Energy
9 Institute working with EPRI to develop this document.
10 This document will also be available in September. It
11 will be provided as a guideline by EPRI for use in the
12 industry. And what this does, it looks at everything from
13 cradle to grave of everything from the licensing down to
14 the final testing and acceptance of these components.

15 It looks at the planning, fabrication,
16 examination, testing. Originally, NRC wanted us to find
17 someone who had absolutely no special interest or conflict
18 of interest of doing oversight. We had a meeting with the
19 NRC in early June, in which we presented an approach, in
20 which at the beginning of the job, the fabricator, the
21 designer and owner will sit down and they will define this
22 oversight program, and there will be a primary
23 responsibility for a certain operation. That typically
24 would be the fabricator.

25 And there's a secondary responsibility, and then

1 there will be the third party who will check what the
2 other two have done. And that program is now, as I said,
3 would be available. It's something that some of the
4 utilities are already starting to look at and do, and this
5 will provide another vehicle for third party oversight.
6 Without a doubt, it will be costly, but I think in the
7 long run, it's going to be fairly efficient.

8 What we're forced to do also is in the front end
9 on the fabrication, is do manufacture ability reviews,
10 look at how we're building a product, and debugging
11 things, so to speak, as you go through the process.

12 I guess there's three big challenges in this
13 whole thing, is having a good technical design and a good
14 package to which you're basing your fabrication on, having
15 the right documentation, proper documentation that fully
16 supports that yes, this product has been built to meet
17 those requirements. And then the third part is having the
18 right people, capable people, people that understand and
19 are willing to be able to become fully involved and
20 stakeholders in this whole operation.

21 Here again, I think if you look at the top
22 success factors, here again, top of the list, making sure
23 we understand the customer expectations. The definition
24 of the critical characteristics. You know, much of the
25 information that goes in the safety analysis report, which

1 is approved by the NRC, has a lot of information in it.
2 Some of that information is not necessarily critical to
3 safety, but critical to having the component built right.
4 In fact, sometimes it has too much information because it
5 even dictates how a manufacturer is going to build it,
6 which really shouldn't be in there. But with the EPRI
7 document, we're going to sit down and define those
8 critical characteristics.

9 It's not only dimensional information, that you
10 get the right minimum thicknesses and that you have the
11 right tolerance stack up, and that everything is going to
12 fit together, it deals with do you have the right
13 inspection criteria for knowing the hydrogen and carbon
14 content of your resin. Do you have the right way that
15 you're going to inspect and do the gamma scan of your
16 lead? Does it have the right features associated with how
17 those trunnions are going to be designed, or the right
18 closure? So definition of the critical characteristics is
19 boiling everything down to what's really important to
20 safety and, by God, that's what we have to meet.

21 The manufacturability review of that design will
22 be part of certainly the critical characteristics. I
23 can't tell you how many times we'll get a design that you
24 can't x-ray one of the joint welds because they didn't
25 provide enough room on the, say, where the bottom plate

1 comes into the shell. You have to provide the curvature
2 so you can get a pin behind it and be able to do an x-ray.
3 Those are things that are really important, and those are
4 things that a knowledgeable fabricator who's in this
5 business will understand how to do.

6 Material selection, I mentioned that. Boy, if
7 something is not made with the right material or there's a
8 question on it, that's a big loss to everybody.

9 And the critical or special processes, here
10 again, you have capabilities to do the pours, whether it
11 be resin, lead, can you do flame spring. We have flame
12 spring requirements on some of the TN casks where we do a
13 zinc oxide spray, so when you put it in a fuel pool, you
14 don't get interaction with the fuel pool water.

15 Electrolysis, electro process on the baskets. I
16 mean, we know what happened at the Trojan plant. Do you
17 have those capabilities? Are they accessible to you?

18 Documentation review, here again, I can't
19 emphasize that enough. You have a lot of people looking
20 at it. You want to make sure that you've got a package
21 that works. And then the people experience.

22 So, in summary, and I went through this for
23 myself, do you have the people and the culture who can
24 meet the requirements of the designer, the customer and
25 the public? Everyone's got to feel good about the product

1 that goes out the door, and you as the fabricator have to
2 be efficient, otherwise you're not going to be in business
3 very long either. So there's a benefit to everybody to
4 making sure that everybody is working together on this
5 particular type. This not like buying pumps and valves.
6 I mean, this is a highly engineered product, very much
7 different than what we've dealt with in the past in the
8 nuclear industry.

9 So that's what I have. Any questions?

10 ARENDT: Thank you very much. We're running a little
11 bit over. We just have time for one or two questions. Go
12 ahead, Paul.

13 CRAIG: Paul Craig. I've got ask a question which
14 you may elect not to answer, which will be fine. But as
15 you know, our Board is charged to look at Yucca Mountain
16 specifically, and Yucca Mountain is a program which has a
17 number of deadlines, some of which are mandated by
18 Congress, but some of which are internally established by
19 the Department of Energy. And you said several times,
20 one, we do not ship anything for the sake of schedule.
21 And, secondly, you talked about having a clear
22 understanding of customer expectations.

23 Now, one of the things that the Department of
24 Energy does is it operates in this area in a totally
25 schedule driven way, which if I take that idea and I

1 overlay it against what you're saying, combined with some
2 confusion on customer expectations, it seems to me we have
3 a prescription for major problems. This is the main
4 lesson I'm taking away from your presentation as I try to
5 take your ideas and apply them to our situation. So I'm
6 asking you to comment, but if you choose not to, I will
7 understand.

8 SOLOVEY: I'll always give a comment. We, of course,
9 as fabricators always consider ourselves at the bottom of
10 the food chain. Okay? When everything gets done, then
11 they say okay, this is the time you've got to make it.
12 Can you make it? Many of the schedules are very
13 ambitious, but they are doable, but it takes--you just
14 can't--years ago you used to be able, and that's the way
15 engineering and manufacturing companies work, you take and
16 you design something, you throw them over the fence and
17 give it to somebody else to deal with it. You can't do it
18 on these projects. That's a very important aspect. It's
19 important to get the fabricator involved way up front so
20 you don't run into design or a fabrication problem before
21 it gets to them. Can you get the material suppliers? Can
22 you buy this material? Is it readily available? Can you
23 buy it in this kind of form? How much is it going to
24 cost? I mean, those kinds of basic questions.

25 But to answer your question, you know, we run

1 into a lot of deadlines. Utilities need equipment. They
2 have to do their refueling operation. You try to
3 communicate the best you can and say if you need it by
4 this date, this is when we've got to start. But here
5 again, you know, you just can't--sometimes you just can't
6 work back from the end date and say this is when we're
7 going to start. You've got to do all the things up front
8 in the planning phase, and this is what we're hoping to
9 happen with this EPRI document, too, is give people a
10 little bit more visibility on what they need to do and
11 when they need to do it. But it's a challenge, and it
12 will be there.

13 ARENDT: Dan?

14 BULLEN: Bullen, Board. Maybe to repeat myself from
15 this morning, we heard that for the shipping casks, for
16 example in the shipping campaign, it may be necessary to
17 ship waste to Yucca Mountain by 2010, and that the budget
18 shortfalls that may become a problem associated with the
19 DOE's efforts, there's still plenty of time to build the
20 transport casks necessary to do that. And I guess a
21 couple of things that you mentioned in your presentation
22 with respect to essentially the loss of the ability to do
23 large forgings and having to have 18 to 24 months of lead
24 time for some of the forgings of casks that you want to
25 fabricate, is it, from a fabrication point of view, do you

1 think there's going to be a problem in meeting a deadline
2 if we wait too long to place the order to be able to ship
3 in 2010?

4 SOLOVEY: No, I think the whole point of starting
5 early enough, the first one is usually the challenge.
6 Once you get on a roll and you learn how to build it, then
7 you get that time down. I mean, there's strategies that
8 you can do. You can go ahead and buy material if you know
9 the design ahead of time. One of the things I--you know,
10 I try to go to the utilities and say, hey, you know, if
11 you know you're going to buy this kind of design, let's go
12 to the material supplier now, get into their mill run, or
13 when they're going to do their melt, and let's get that
14 material reserved now so that we can shorten up that six
15 month delivery span on the large forgings.

16 There are things that could be done ahead of
17 time. Now, it's an investment, but I think the material
18 suppliers, knowing how hungry the market is right now,
19 will be more than happy to commit to you, say okay, I'm
20 going to commit from these months to these months, that
21 I'm going to make a melt and I'm going to have these
22 forgings available to you at a certain time.

23 So it's not a matter--I think that's why we start
24 up front and we all work together to get to a point where
25 we can do those things that are not going to make this

1 thing a critical path item.

2 ARENDDT: Richard, one last question here.

3 PARIZEK: This is kind of an eye opener for me to
4 sort of see this process, and I've seen some German
5 examples, and it's spectacular because they're kind of
6 prototypes and they're beautiful things you're building.
7 It's like the Rolls Royce, and the workers can look at it
8 and see how wonderful it is. I think 10,000 waste
9 packages later, there must be a certain element of fatigue
10 that would creep into this process, you know, if someone
11 is doing this for year after year after year. And how is
12 the industry going to deal with this, the repetition of
13 doing this again and again and again, to keep everybody's
14 interest up? Again, you're going to stick it underground,
15 it's not like it's something you can look at and admire
16 and show your family, in a sense.

17 SOLOVEY: The canisters are going to be a little
18 different than the cask. They're going to be plate,
19 rolled plate, formed heads. It's not going to be long
20 lead forgings typically. There may be some small forgings
21 you might need. But a lot of manufacturers would love to
22 have that kind of backlog of work to be able to get into
23 production. What you will gain from that is you'll get
24 better repeatability in quality because you have an
25 operation that is repeatable. You can do certain things.

1 There will be automated processes, such as the welding.
2 You can train people, do crewing, where you have people
3 that are used to the same process along.

4 Right now, it's kind of sporadic in this
5 industry, where sometimes you don't have people that have
6 been familiar with this. So it will help and it will help
7 also to develop a supplier base, not just one supplier,
8 but maybe six, you know, maybe four, whoever you feel who
9 has the capacity. But I think in a sense, it will help it
10 from a standpoint of quality. Like you say, you just
11 can't drop your guard on it. There will still be
12 requirements for document packages, data packages, and
13 that component will not leave the shop until the customer
14 has signed off and say, hey, you met the expectations.

15 You know, maybe somebody will get burnt out, but
16 I don't know, that's a good chunk of business and it makes
17 a lot of sense for a manufacturer to be able to respond to
18 that.

19 ARENDT: Okay, thank you very much.

20 Our next speaker is Bob Fronczak. Bob is going
21 to talk on the railroad performance specification for
22 transportation of spent fuel. Bob is assistant vice-
23 president of environment and hazardous materials for the
24 AAR, Association of American Railroads, Washington, D.C.

25 FRONCZAK: Thanks, John. This is my second time

1 addressing the Board. I addressed the Board a couple
2 years ago on I guess the last transportation workshop you
3 held.

4 A little background on myself. I think I'm the
5 babe in the woods here. I've only been involved in the
6 rail industry for about 22 years. I worked for the
7 Milwaukee Road Railroad out of Chicago for seven. I was
8 in sales to the industry, consulting to the industry, and
9 now with AAR for the last six years.

10 Chuck and I apologize that you don't have copies
11 of our overheads. We had e-mailed them to the Board last
12 week with the understanding that they would be reprinted.
13 But apparently that didn't happen. I think somebody
14 might be making copies as we're done with the
15 presentations, and they may be available before the end.

16 What I'm here to talk about today, and I think
17 Chuck set it up nicely, is our goal for the transportation
18 of spent nuclear fuel. The last time I talked to you, I
19 talked about dedicated trains and where we stand as an
20 industry, and the need for dedicated trains. I think I
21 talked a little bit about our goal, which this is the goal
22 of the chief operating officers of the railroads, which is
23 a dedicated cask car train system that ensures cask
24 integrity in the rail operating environment, and is able
25 to be transported at time table speeds without

1 restrictions on meets and passes.

2 One of the questions that we've been asked is,
3 well, how do you get from where we are today to there?
4 And the way we get there is the performance standard for
5 spent nuclear fuel trains, which is what I'm going to talk
6 about.

7 I thought I'd make a few comments about the modal
8 studies. I think NRC is in the process of redoing that.
9 I thought I'd say just a few things about our concerns, or
10 some of the critiques we've had on the modal study, too.

11 The performance standard has been in the works
12 for the last couple years now. the first draft was
13 December of 1998. There's two groups that are working on
14 this. They're industry committees. One is the Nuclear
15 Waste Transportation Task Force, which I am the AAR
16 liaison for. The other is Equipment Engineering
17 Committee. It was approved this year by the Equipment
18 Engineering Committee. The Equipment Engineering
19 Committee is the committee responsible for all new railcar
20 standards. It was approved at their March meeting. The
21 standard is a little bit different than Chapter 11.
22 Chapter 11 is our current standard for--all new rail cars
23 have to meet Chapter 11, and it's a whole bunch of tests,
24 which I'll get into.

25 But this not only applies to just the car, but it

1 also applies to all cars in the train, requires modeling
2 before construction, full-scale dynamic testing of each
3 car and the train, and a circular letter, which is the way
4 we get information out to the public in the rail industry,
5 was issued in May of this year, and comments were due June
6 26th. I think we've received two comments at this time,
7 and it's due to become effective September 1st of this
8 year.

9 What I'd like to do now is get into some of the
10 design requirements, keeping in mind that most of these
11 design requirements are current requirements in Chapter
12 11, our current manual of standards and recommended
13 practices.

14 There's a standard AAR freight load. These
15 include things like dead load, live loads, vertical load
16 uncoupler, jacking load, et cetera. There's a load case
17 for passenger cars. This would apply to the personnel car
18 or cars carrying people in the train. There's a crash
19 worthiness requirement that applies to all cars in the
20 train, and that is based on the crash worthiness
21 requirements that hazardous materials cars as well as
22 passenger carrying cars currently have to meet.

23 There's a fatigue design load requirement. What
24 we do is we have a spectrum of loads that is published in
25 our manual of standard and recommended practices, and all

1 cars have to meet that fatigue design requirement.
2 There's also weld analysis through finite element
3 analysis. It meets with American Welding Society
4 standards, and full penetration radiographic welds are
5 required--I'm sorry--radiography is required on all full
6 penetration welds.

7 Continuing, there's a non-structural static
8 analysis, which includes truck twist equalization and car
9 body equalization. That is conducted to estimate truck
10 and car performance under statically applied track twist
11 conditions. In addition, a curve stability analysis is
12 performed to calculate real loading for adverse curving
13 scenarios. There's a truck warped restraint requirement.
14 That is to document the ability of the truck to withstand
15 longitudinal and lateral forces that might cause truck
16 warp resulting in high angles of attack, which can cause a
17 derailment. In addition, there's a static curve stability
18 requirement and curve negotiation requirement.

19 Dynamic analysis includes perturbed track
20 performance. This provides an evaluation under less than
21 ideal conditions. What we do is check for purvations at
22 39 feet and also at the wheel spacing of the car. 39 feet
23 is the old rail joint, and what it does is checks under
24 worst case situations for things like twist and roll,
25 pitch and bounce, sway and dynamic curving.

1 In addition, we've got perturbed special cases.
2 We've got a single bump requirement. That simulates
3 something like going over a grade crossing where you'll
4 have a little bit stiffer track, an individual bump, and
5 also a curving with single rail perturbation.

6 Continuing on the dynamic analysis, you get into
7 unperturbed track performance. And what this does is it
8 looks at the performance of the train under normal
9 operating conditions, over the road operating conditions,
10 and that includes hunting, constant curving, curving with
11 various lubrication conditions, limiting spiral
12 negotiation, turnouts and cross-overs, how does it deal
13 with turnouts and cross-overs. If you're not familiar,
14 the rail industry does use track lubrication for curving,
15 and on tangent or straight parallel track for energy
16 efficiency, reduced wheel and rail wear.

17 It looks at ride quality. We want to make sure
18 that the people that are in the personnel car aren't
19 subjected to abnormal forces, and also looks at drafts.
20 That would be run in and run out forces in curving
21 applications.

22 Finally, on the dynamic analysis, there's a
23 braking effects on steering and worn component
24 simulations. We want to find out what that car will do
25 ultimately long-term as the components start to wear out.

1 In the brake system design, this is different
2 than our current Chapter 11, in that it uses, like Ray
3 talked about, our new technology, which is electronically
4 controlled pneumatic brakes, an ECP brake will apply the
5 brake at the speed of light instead of at the speed of an
6 air signal going through the train, which is the way
7 brakes are applied today. It also has the advantage of
8 being able to provide a communication system throughout
9 the train. The specification calls for either radio
10 controlled or cable controlled brakes. So there's two
11 different ways you can have electronic brakes, but that
12 provides the communication system for some of the defect
13 monitoring, which is what I'm going to talk about in a few
14 minutes.

15 The brake system also looks at brake ratios and
16 shoe force variations. This prevents the brakes from
17 overheating the wheels, which can cause a wheel failure,
18 which leads to derailment, and also looks at jerk rates,
19 which is just how fast the train accelerates and
20 decelerates.

21 Now, this is also a new requirement over and
22 above Chapter 11, our current Chapter 11. What we propose
23 in the new specification is a system safety monitoring, so
24 that all cars in the train would be monitored for
25 location, speed, truck hunting, rocking, wheel flats, in

1 other words, there would an excel rounder, which would
2 determine whether or not the wheel is flat and hitting the
3 rail too hard. Bearing condition, that will be a straight
4 temperature reading. That's one of the causes of
5 mechanical failure in derailments, is overheated wheel
6 bearings.

7 Braking performance, you know, what is the
8 performance and the status of the electronic brakes. Ride
9 quality, vertical, lateral and longitudinal acceleration,
10 in other words, did you hit a bump or something, in train
11 forces laterally that could cause a problem, and then
12 finally, ride quality, and then braking performance, which
13 I mentioned before.

14 Now, what does this look like? This is our
15 concept of what a dedicated train will look like. We've
16 got two locomotives, primarily just for redundancy, just
17 in case one of the locomotives were to break down, you've
18 got redundancy. It's not needed necessarily for power.
19 Followed by a buffer car. A buffer car, and I talked
20 about this in the past, needs to be of consistent weight
21 with the cask cars and locomotives. You don't want a real
22 light car for a buffer car, also connect as an energy
23 absorber if there were a derailment. And then a series of
24 cask cars, and the cask cars would have enhanced
25 performance trucks, and all of them would be equipped with

1 defect detection. And then finally, a security car which
2 would be able to communicate with the locomotive, as well
3 as back to a home base.

4 One of the questions that we are asked on
5 occasion is does this technology current exist? This is a
6 picture out of our--at our transportation technology
7 center of one of the enhanced performance trucks. There's
8 several other enhanced performance trucks. These are
9 being tested right now in our heavy axle load loop, and
10 we're looking at 286,000 pound loads, 350,000 pound rail
11 loads in just heavy axle service currently. So this
12 technology does exist.

13 And one of the things that took two years from
14 the current--from the draft of the specification to the
15 finalization of the specification, is the Equipment
16 Engineering Committee was quite concerned about the
17 ability of existing technology to meet the specification.
18 And the performance requirements in the specification,
19 all the things that I talked about, are tighter in this
20 specification than they are in Chapter 11. The concern
21 was can current technology meet it. We went and we did
22 some modeling on our own, and we determined, were quite
23 confident that current technology can meet the
24 specifications.

25 Now, as far as the approval process, the AAR

1 Equipment Engineering Committee, which approves all new
2 equipment for the rail industry, is the governing body.
3 There is a preliminary design review required after you
4 design the equipment. After that, you have submittal of
5 full-scale test report. So once you have an approved
6 design, the builder would build the equipment, send it to
7 some place for testing, and then a design report would be-
8 -I mean, a full-scale test report would be submitted to
9 the Equipment Engineering Committee.

10 Once that goes through the committee for
11 approval, it would be approved for a conditional run, and
12 after it runs for so many thousand miles, then it would be
13 full scale approval, that's after 100,000 miles of
14 operation.

15 Now, I thought I'd mention right now the fuel
16 storage people are currently designing their system to
17 meet this standard, and they're in the design phase. They
18 haven't submitted anything to Equipment Engineering yet,
19 but that's where they're at.

20 Now, on the modal study, we've taken a keen
21 interest in the modal study. Primarily, I think what we'd
22 like to do is relate the forces that the casks are
23 subjected to in the regulatory testing to forces in
24 derailments, and that's one of the key areas we felt
25 needed addressing in the modal study. Another one was can

1 the impact limiters stay on in a derailment. There's a
2 lot of glancing blows in derailments and we're quite
3 concerned that the impact limiters would come off, and the
4 casks would be subjected to full loads without the benefit
5 of the impact limiters.

6 Crush loads are something that the large casks
7 don't have to meet at the current time, and yet they're a
8 very real possibility in rail derailments. I'm sure you
9 heard about the Eunice, Louisiana derailment that happened
10 over the Memorial Day weekend. It took several days just
11 to identify all the cars that were involved in the
12 derailment.

13 We also felt that the study needed updating, and
14 I think Robert talked about that a little bit, for
15 credible rail accidents. There's been some pretty severe
16 accidents since the study was written.

17 Robert also talked about the modeling techniques
18 that were used, and it sounds like they're going to look
19 at that and update that. Wayside conditions was another
20 area. Highways are built generally to follow topography,
21 so there's not as many cuts and fills. Railroads are
22 limited in the grade that they have to operate on, and
23 because of that, there's a lot more cuts and fills. So we
24 felt that the wayside conditions are different, and they
25 used highway conditions in the modal study.

1 And we filed comments, and our comments were I
2 think somewhat on the order of 100 pages, to NRC, and I'm
3 assuming they used that as part of their scoping process
4 for updating the study.

5 So in summary, I guess we're looking to a
6 dedicated cask system for the transportation of spent
7 nuclear fuel, and we feel that the performance standard is
8 the way to go to get there.

9 So I'll open it up for questions.

10 ARENDR: Questions, anyone? Dan?

11 BULLEN: Bullen, Board. You talked about the
12 performance standard and essentially the need for dynamic
13 testing. But that was essentially dynamic testing of
14 normal wear conditions. Could you speak a little bit
15 about off-normal conditions, where you'd expect sort of
16 beyond dynamic testing characteristics, and what would you
17 expect to see for sort of performance confirmation tests
18 associated with that?

19 FRONCZAK: Well, I think the perturbations testing is
20 abnormal testing. In other words, that wouldn't be track
21 you would normally find in mainline track in the United
22 States. But it's those perturbations that can exist in
23 yards and terminals where those cars can be switched, and
24 that does address the abnormal testing.

25 BULLEN: And then a quick follow-on to that one.

1 Then if you fulfill all these testing requirements, then
2 do you foresee that the dedicated trains should have the
3 ability to meet the speed requirements that won't
4 bottleneck the system that we've heard about earlier?

5 FRONCZAK: Yeah, that's correct. Our goal is
6 timetable speed. So whatever the posted speed for the
7 track is, that's what we'd like to see. And we feel the
8 performance standard is the way to get there.

9 BULLEN: Thank you.

10 ARENDR: Carl?

11 DI BELLA: Carl Di Bella, Staff. Could you give us
12 an idea, Bob, of the heaviest cars that are moving around
13 at timetable speeds today, and how those compare with the
14 weight of future railcars carrying synthetic fuel casks?

15 FRONCZAK: Chuck, do you want to address that? I
16 mean, I know we're running 286 at timetable speeds. Much
17 more than that, it's the locomotives that are--

18 DI BELLA: Is that 286,000 pounds, or 286 tons?

19 DETTMANN: 286,000 pounds is what is normal. We're
20 running 315,000 pound cars on four axles out there in very
21 specific origin and destination conditions. But then our
22 locomotives are 480,000 pounds out there. So, I mean,
23 weight and speed are the issue for testing of the unit
24 together, but weight of itself, I mean, when you look at
25 the old steam engines, there were steam engines out there

1 of a million pounds. And that's why the bridging today in
2 this industry is frankly not an issue for the weights that
3 we are moving up towards.

4 ARENDT: Bob?

5 LUNA: Yeah, one of the items on your list of
6 specifications was crash worthiness. What does that mean,
7 really?

8 FRONCZAK: There is a crash worthiness requirement
9 for all personnel cars, or passenger cars, for that
10 matter, that we have at AAR that all of our passenger cars
11 meet. And the passenger car will have to meet that crash
12 worthiness requirement.

13 LUNA: But it doesn't apply to the freight cars
14 themselves, or to the cask cars themselves?

15 FRONCZAK: That's right.

16 LUNA: Okay. So it's only the personnel cars?

17 FRONCZAK: Right.

18 ARENDT: Any other questions?

19 (No response.)

20 ARENDT: Well, seeing there's no more, we'll have a
21 ten minute break, or a fifteen minute break. Let's get
22 back at 3 o'clock.

23 (Whereupon, a break was taken.)

24 ARENDT: Our next speaker is Jim Reed with the
25 National Conference of State Legislatures. He's going to

1 present views of states that may be affected by spent fuel
2 transportation. Jim is the program director for
3 Transportation, the National Conference of State
4 Legislatures in Denver, also known as NCSL, the National
5 Association of all Southern State Legislatures. NCSL has
6 been involved in spent fuel transportation for 16 years.
7 Mr. Reed has worked for NCSL for 12 years, providing
8 information to state legislatures on a variety of
9 transportation issues.

10 Prior to that, he worked for the State of Texas
11 and for former U.S. Senator Lloyd Benson. he has a BA in
12 political science from the Colorado College and a master
13 of public affairs from the LBJ School of Public Affairs at
14 the University of Texas. Jim?

15 REED: Thank you, Mr. Chairman.

16 I'm going to do it a little different. I don't
17 have any overheads. I've got a written statement that I
18 think you should all have, and I'm going to go through
19 that. I won't be reading it verbatim, but pretty close.

20 I do appreciate the invitation to speak today.
21 NCSL has not appeared before the NWTRB before, and we sure
22 appreciate the opportunity.

23 A little more background on NCSL, besides being
24 as the National Association for all the state
25 legislatures, we provide information to the 50 states. We

1 have a staff of experts in virtually every policy area
2 from abortion to taxes in Denver, and we're a clearing
3 house for state legislatures, legislative staff and
4 others.

5 In addition to that, we have meetings every year,
6 many meetings a year where state legislatures from across
7 the country get together and share ideas between
8 themselves, and also hear from policy experts and others
9 that are interested in state legislative processes.

10 Finally, we do also provide input to Congress
11 through our Washington, D.C. office. We agree to state
12 positions every year at our annual meeting, which is
13 coming up next week, and those positions then become the
14 basis for lobbying in front of Congress, and we also
15 provide information to federal agencies.

16 As your Chairman mentioned, we've looked at this
17 issue of spent fuel transportation for 16 years. Through
18 NCSL legislatures and legislative staff, have had input
19 into the DOE program through a cooperative agreement that
20 we have funded by DOE, and it supports a variety of
21 activities, including a quarterly newsletter that informs
22 state legislatures and others of what's going on, NCSL
23 attendance at a variety of DOE and other related meetings,
24 and as well, a legislature task force, which we've had
25 active in one form or another since 1984.

1 The information that we provide then allows the
2 state legislatures to enact legislation in areas where
3 they feel affected by spent fuel transportation.

4 I have distributed a report, and I ran out, so if
5 you didn't get a copy, please give me your card, but it's
6 called The State Role in Spent Fuel Transportation Safety,
7 Year 2000 Update, and I'd be happy to provide that if you
8 didn't get it. It goes into quite a bit more depth about
9 what the states are doing in this area.

10 Today, I want to focus in four areas; modal
11 selection, routing, emergency response, and uniform state
12 permitting. But first let me mention that we have had an
13 interaction with the NWTRB. We had Dr. Melvin Carter
14 appear at our meeting, one of our early task force
15 meetings back in 1990, and he recommended that DOE look
16 into human factors at that time to apply what is known
17 about human limitations to the design and operation of
18 transportation systems to ensure optimal safety. But
19 that's still a very relevant suggestion today, and in bold
20 in my statement here, I've got six or seven
21 recommendations, or suggestions, I guess. They're not
22 formal recommendations, but suggestions for the NWTRB to
23 look at.

24 The first one is that we urge NWTRB that DOE go
25 ahead and look at human factor studies, look at all the

1 state of the art, and try and incorporate relevant
2 findings into their plans and activities as they initiate
3 a transportation system for spent fuel. Because as the US
4 DOT statistics show, 65 per cent of all transportation
5 accidents can be attributed to human error.

6 moving to modal selection, our legislature task
7 force in the early Nineties focused on spent fuel
8 transportation issues, and a significant effort of this
9 group was a modal selection study. I think it's still
10 relevant today, even though it's almost ten years old.
11 It's distributed to the Board members. It's this study.
12 I didn't have copies for everybody. If you're really
13 interested after hearing what I have to say, I'll be happy
14 to provide you a copy of it.

15 Basically, this study, after going through the
16 materials available to us at the time, suggested that rail
17 would be the preferred mode for spent fuel transport over
18 truck and barge, because of several things. One, the
19 lower probability of an accident and radiation exposure in
20 transit. Higher capacity for shipments. The availability
21 of dedicated trains, which were perceived as safer. And
22 lower overall cost. The preference, however, was tempered
23 by concern that the states lack a strong regulatory role
24 in rail safety, that no rail routing provisions exist
25 currently, and still don't, and that some rail accident

1 response could be hampered because of the inaccessibility
2 to roads.

3 By contrast, states have a much more prominent
4 role in terms of regulatory capability in ensuring highway
5 safety, and also have routing authority for highway
6 shipments. But the task force at that time was concerned
7 that higher risk was associated with truck shipments in
8 terms of higher accident probability, greater radiation
9 exposure, and greater public fear of highway transport.

10 Well, since that study, there's some additional
11 concerns that have arisen due to the ongoing consolidation
12 of the railroad industry. There was passing reference
13 earlier today about the Union Pacific/Southern Pacific
14 merger, and in fact it caused a severe service meltdown,
15 as it's been called by some in the Houston area, and this
16 spread through the entire system of 36,000 miles. The
17 resulting chaos cost the national economy \$4 billion, and
18 the Surface Transportation Board took the unprecedented
19 step of allowing another railroad to operate on UP's
20 tracks in the Houston Gulf Coast area.

21 Other mergers have occurred since that time as
22 well, and there's a pending proposed merger between
23 Burlington Northern, Santa Fe and Canadian National that
24 had enough concern expressed that the STB a few months ago
25 imposed a 15 month moratorium on mergers so they could

1 kind of get their act together and decide what they're
2 going to do in the future.

3 Some have said that over time, there's only going
4 to be two railroads left in the country the way things are
5 going. And this does raise some safety concerns. Spent
6 fuel shipments could potentially be caught in a volatile
7 shipping situation, such as was seen in the Houston area.
8 Congested rail lines could leave spent fuel casks
9 stationary for periods of time that could expose workers
10 and the general public to potentially unsafe doses of
11 radiation. So NCLS recommends that the NWTRB ask DOE to
12 study the impact of rail mergers on the safety of future
13 spent fuel transportation.

14 Moving to routing, there's been a longtime
15 concern that current regulations require the carrier to
16 select routes rather than the shipper, in this case of
17 commercial spent fuel, it would be DOE. The states
18 believe that DOE should play a central role by narrowing
19 the number of acceptable routes. Then the states can
20 concentrate their scarce training resources along those
21 routes for emergency response and enforcement.

22 The Waste Isolation Pilot Program provides a
23 positive model for the states. In selecting the WIPP
24 routes, a preliminary set of routes was proposed to the
25 states, and then it was modified based on states

1 suggestion and also based on formal alternative route
2 designations.

3 The routes that DOE selected, in consultation
4 with the carrier, states, tribes and others, were included
5 as mandatory provisions in carrier contracts.

6 With respect to mode and route issues, NCSL has
7 asked DOE to conduct route and mode specific analysis of
8 transportation impacts to exhaustively evaluate the risks
9 associated with spent fuel and high level waste
10 transportation, and many others have made the same
11 request.

12 The draft environmental impact statement for
13 Yucca Mountain does not contain this analysis and,
14 therefore, we feel it's significant flawed. NCSL
15 continues to believe that specific routes and modes entail
16 different risks. Thus, the generalized analysis contained
17 in the DEIS is not adequate for determining risk and
18 making informed judgments, as required under the NEPA.
19 Therefore, NCSL requests that NWTRB press DOE to analyze
20 specific routes and mode combinations to states the
21 opportunity to begin specific preparations to address safe
22 routine transportation and emergency response to spent
23 fuel shipments.

24 The third area I want to address is emergency
25 response. This is a very key concern of state

1 legislatures. We've seen the substantial variation that
2 exists among the states as to the adequacy of emergency
3 response capability for radiological transportation
4 accidents.

5 There was a study done in 1990 by Indiana
6 University that was sponsored by NRC, and this is the most
7 recent comprehensive survey that I'm aware of of state
8 capabilities. It divided the states into four categories,
9 and I want to briefly summarize those results because I
10 think that the Board might find them significant.

11 I do have the reference for this study for the
12 Board if you're interested in following up with that. I
13 didn't have an extra copy to bring. It's a lengthy
14 report.

15 Basically, one-third of the states, which would
16 be about 17 states, reported that their program is
17 basically adequate and they have no pressing needs. They
18 would like additional resources, including upgraded field
19 communications equipment, state of the art laboratory and
20 field equipment, protective clothing, respiratory devices,
21 and dedicated vehicles.

22 Another group representing a fourth of the
23 states, or about 12 to 13, indicated that their program
24 was more or less adequate, but reported that they needed
25 additional resources, such as upgraded equipment, more

1 training for radiation technicians, and first responders,
2 support to conduct field exercises, and planning support
3 as well.

4 One-fifth of the states, which would be ten,
5 reported the existence of a deficient transportation
6 emergency response program in the opinion of their
7 radiological health personnel. These states need
8 substantial resources to attain an adequate program,
9 including basic laboratory and field equipment, planning
10 support, needs assessment and training.

11 Finally, the remaining states, which is ten,
12 declined to offer an opinion due to internal state
13 disagreement or other reasons.

14 At least one state in that survey said that they
15 rely on the Federal Nuclear Research Facility within its
16 borders for emergency response to radiological
17 emergencies.

18 Increases in the number of spent fuel shipments
19 therefore will be viewed differently by state officials,
20 depending on the sophistication of a particular state's
21 emergency response system, and other factors.

22 Presumably, there's been some improvement in ten
23 years, but I'm aware of no new data to support such a
24 claim on a nationwide basis. To its credit, DOE has
25 worked closely with the states in attempting to increase

1 state capabilities, but funding has been scarce.

2 So, NWTRB can assist the states by encouraging
3 DOE to generously and fairly fund programs, such as
4 Section 180(c) of the Nuclear Waste Policy Act, that are
5 designed to help states in dealing with spent fuel
6 shipments that pass through their jurisdictions.

7 The Board can also help by asking NRC to update
8 this 1990 study on state and tribal emergency response to
9 radiological transportation incidents, to help develop a
10 better baseline for objectively determining emergency
11 response needs.

12 The final area I want to address is more in the
13 way of information for the Board. It's the Uniform
14 Hazardous Materials Transportation Program. Several
15 states have agreed on a better way of regulating Hazmat
16 transportation, which includes spent fuel, that works more
17 efficiently while still protecting public health and
18 safety. This effort standardizes the forms and procedures
19 for hazardous materials, including radioactive, on the
20 permitting and registration and motor carriers.

21 Pursuant to 49 USC 5119, the Alliance for Uniform
22 HazMat Transportation Procedures has recommended a base
23 state system where motor carriers receive credentials in
24 their home state that are valid in all the participating
25 jurisdictions. The credential is issued after a stringent

1 safety analysis to determine that the carrier is fit to
2 operate safely.

3 States using the uniform program have found that
4 it improves safety through better regulatory compliance on
5 the part of motor carriers. Motor carriers must certify
6 as part of the process that they are aware of and will
7 comply with all applicable federal and state regulatory
8 requirements.

9 Well, Congress created this Alliance as part of
10 the Hazardous Materials Transportation Uniform Safety Act
11 of 1990. Back then, there was a lot of pressure from
12 industry, the trucking industry primarily. There were 80-
13 some programs in existence that regulated in this manner,
14 and at one point, Congress was thinking of preempting all
15 these programs, but the compromise was to put this group
16 together to study the process and come up with uniform
17 forms and procedures. It consisted of 28 state and local
18 officials that had these kinds of programs, and 27
19 different jurisdictions.

20 Their charge was to establish uniform forms and
21 procedures for states that do register and permit carriers
22 that transport, cause to be transported, or ship hazardous
23 materials by motor carrier. The initial recommendations
24 were conveyed to the Secretary of Transportation back in
25 1993, and pilot programs were subsequently set up in

1 Minnesota, Nevada, Ohio and West Virginia. In 1994 and
2 1995, they tested the recommendations.

3 In the meantime, Illinois, Michigan and Oklahoma
4 joined the program. A final report was issued in '96
5 basically asking Congress to create a compact-like process
6 to encourage new states to adopt the new uniform program.

7 Registration and permit programs that are
8 inconsistent with the uniform program after a certain date
9 would be preempted.

10 When fully implemented, the end result would be a
11 consistent national safety permit and registration process
12 run by states to ease motor carrier compliance with state
13 programs, and also it would decrease the administrative
14 workload in individual states because it would spread the
15 regulatory burden across all states. In other words, all
16 states--each state wouldn't be doing all the carriers that
17 come through their state. It would be shared with those
18 states where that carrier was based in another state.

19 The implementation ultimately does depend in part
20 on the new Federal Motor Carrier Safety Administration.
21 The way the law reads, if 26 states adopt this on their
22 own, it would become federal law. However, before that
23 time, the Federal Motor Carrier Safety Administration
24 would have authority to implement this program before that
25 number was reached.

1 In conclusion, state legislatures are continually
2 vigilant, if not sometimes weary, in monitoring the
3 progress of DOE in the civilian waste program, and in
4 following what the impact may be on state and local
5 transportation systems.

6 Unfortunately, DOE has curtailed its funding of
7 spent fuel transportation planning and education work
8 needed to implement a spent fuel shipping campaign of the
9 magnitude planned for a potential Yucca Mountain
10 repository. NWTRB could help the states as well as
11 national and regional groups, of which states are members,
12 by urging DOE to restore adequate funding for the
13 cooperative agreements like the one that has allowed NCSL
14 to inform and educate state policymakers of DOE's plans
15 for spent fuel and high-level waste transport and
16 disposal.

17 I thank you for the chance to speak today, and
18 I'd be happy to address any questions.

19 ARENDR: Thank you very much. Any Panel members, any
20 questions for Jim? Yes, Dan?

21 BULLEN: Bullen, Board. I was actually very
22 intrigued by the results of the 1990 study that the
23 University of Indiana did with respect to the number of
24 states that thought they were adequately prepared for the
25 emergency response necessary, and your comment was you

1 didn't think that that may have changed much since then.

2 In light of that draft environmental impact
3 statement and the routes that were proposed coming out, do
4 you think that that should be a focus for the funding that
5 you would request that we urge DOE to provide to the
6 states?

7 REED: To do the study?

8 BULLEN: Well, to complete the study and to maybe
9 improve the emergency response capabilities of those
10 states and localities?

11 REED: In terms of improving the capabilities,
12 absolutely. The study, it would be nice to have, but I
13 guess I wouldn't want the money to go for a study. The
14 NRC did the study, so I'm thinking the NRC can do that.
15 DOE is really more on the implementing side that would
16 provide the funds. So I guess in my mind I was separating
17 it that way. But in terms of scarce dollars, I think that
18 the main thing is to get dollars into the hands of the
19 state and local jurisdictions that need the funding for
20 emergency response.

21 I don't know, was that responsive?

22 BULLEN: That actually answered the question. The
23 concern that I have, I mean, with the limited resources
24 available, I was hoping that we would be able to direct
25 where it would go. For example, if it looks like a

1 majority of them are going to follow down the I-40
2 corridor or the I-70 corridor or the I-80 corridor, you
3 should probably emphasize that, or specific UP rail
4 corridors, that those kinds of things would be a focus as
5 opposed to saying well, you know, we want to make sure
6 that everybody who wants to have a piece of this pie can
7 say okay, you know, we have a county that's maybe within
8 200 miles of the rail line, we want to make sure we have
9 emergency responders that can respond in case there's an
10 accident. So focusing it based on essentially the efforts
11 associated with DOE and trying to identify where the need
12 would be greatest, I guess is the question that I asked.

13 REED: Absolutely. And that's why we want DOE to
14 give a better indication of routes and modes, and so those
15 kinds of--the money can then be more funnelled to those
16 areas.

17 BULLEN: As a follow-on to that one, what kind of
18 lead time do they need to complete this training? I know
19 that, for example, my state has a pretty good emergency
20 response, and it's based at the University systems at
21 University of Iowa and Iowa States, but how long does it
22 take to bring everybody up to compliance and to give them
23 the equipment and to do those kinds of things? Is it
24 something you could do in a crash program in a year? Or
25 would you have to do it over a five year period or a ten

1 year period?

2 REED: The number that's out there is three to five
3 years. That's the number that the states typically throw
4 out, three to five years.

5 ARENDT: Any other questions? Yes, identify
6 yourself.

7 SWEENEY: My name is Tim Sweeney with SAIC. The WIPP
8 experience shows that on the average, every 18 months, you
9 have approximately 100 per cent turnover of first
10 responders. So starting five years in advance doesn't
11 really gain you much because you have to do it all
12 anyways. So if you're worried about utilizing dollars
13 properly, that might not be the best way to go.

14 And, too, I'm a little concerned about a study
15 where you basically send out a letter to a state saying
16 how do you feel about your capability, because again the
17 political answer is well, we can't say we're doing a bad
18 job, but we still want to keep our hand out for more
19 money. So in terms of using that as a decision making
20 tool, I'd be a little resistant to that.

21 REED: Yeah, I don't think the intent would be to use
22 it as a decision making tool as much as to provide
23 information in a general sense on where some of the
24 deficiencies are. I'm not sure in terms of the
25 methodology, it was done by Indiana University, so, you

1 know, I don't know how they--any time you do a survey,
2 you're going to have some of the issues you raised.

3 As far as--what was your first question again?
4 I'm sorry.

5 SWEENEY: Just about the timeline prior to--

6 REED: Oh, yeah. I think we're not just talking
7 about training emergency responders. We're talking about
8 the whole system of a state getting ready for these kinds
9 of shipments. And certainly that's a key part, is
10 training responders, but just the whole apparatus of state
11 government planning and some of the things that need to be
12 done. I mean, we've talked a lot at the TEC meetings
13 about the turnover of emergency responders, and that's a
14 constant process of refreshing. So I don't think the
15 suggestion is you train all the responders five years
16 ahead of time and they'll still be there. Some will be.
17 But there's all these other activities that are involved
18 as well.

19 ARENDT: Okay, any other questions?

20 (No response.)

21 ARENDT: Okay, thank you very much. Our next speaker
22 is Bob Halstead. Bob is with the consultant to the State
23 of Nevada, Nevada Agency for Nuclear Projects, and his
24 topic is the Nevada issues related to transportation of
25 spent fuel.

1 HALSTEAD: Thank you for the opportunity to be here
2 today. We've been quite busy since the last time someone
3 from Nevada addressed the board on transportation, and a
4 lot of what we've been busy with since last August is
5 reviewing the draft environmental impact statement that
6 the Department of Energy issued last August.

7 Additionally, we've been working on a couple of
8 other issues with the Nuclear Regulatory Commission. One
9 is a petition for rulemaking for enhanced safeguards
10 regulations, counter-terrorism and sabotage, and also
11 we've been actively involved in the modal study update
12 process, and I'll talk about those two things in a few
13 minutes. But mostly I'm going to talk about the
14 Department of Energy's environmental impact statement and
15 the review that we've been doing for the last nine months.

16 In fact, it seems like I haven't done anything
17 else since last August but think about this draft EIS and
18 the 50 boxes of references that came to the office, and
19 for those who like to carry it around neatly like Rob
20 does, you can carry all the references around on only 22
21 CD ROMs. So it's a pretty challenging review, plus we've
22 generated our own technical documentation.

23 We gave statements at all of the hearings around
24 the country on transportation issues. We filed written
25 comments at the end of February, 220 pages of our comments

1 related to transportation, which means we wrote almost as
2 many pages about transportation as DOE did, and all of our
3 material is available on the web at our websites. I've
4 given you the address there.

5 Now, before I get into Nevada's critique of the
6 draft EIS, I had hoped that someone from DOE would save me
7 from having to spend a few minutes by describing what the
8 transportation aspects of the draft EIS are. But for
9 those of you who aren't familiar with it, the
10 transportation system that DOE is proposing in the draft
11 EIS is broken into two parts, a proposed action and an
12 extended action.

13 The proposed action involves disposal of the
14 70,000 metric tons uranium of waste that is actually
15 specified as going to the repository in the Nuclear Waste
16 Policy Amendments Act. As most of you know, 10 per cent
17 of that is reserved for defense high-level waste. DOE
18 then developed two modal scenarios for that proposed
19 action, mostly truck, in which there would be 49,500 truck
20 shipments and 300 rail shipments of Naval fuel from Idaho.
21 So that's a little more than 20,000 truck shipments a
22 year each and every year for 24 years.

23 They also developed a mostly rail scenario in
24 which all but nine reactors are shipped by rail. There
25 would be a total of 10,800 rail shipments, 2,600 truck

1 shipments, and that works out to an average of about 560
2 shipments a year every year for 24 years.

3 Now, as most of you know, that 70,000 metric tons
4 doesn't actually cover all the projected waste that
5 requires geologic disposal. So DOE added an extended
6 action. It's very confusing. If you read the document,
7 there is an action to address inventory Module 1 and
8 Module 2. It's kind of typical Washington speak, but what
9 it means is 105,000 metric tons of civilian spent fuel,
10 plus about 15,000 metric tons equivalent of DOE spent fuel
11 and high-level waste gets shipped to the repository over
12 38 or 39 years. There are different year markers at
13 different parts in the draft EIS, and I got called on the
14 carpet the other day, where did you get this 39 years?
15 DOE says 38 years. But over 39, 38 years, we'll say one
16 year isn't much.

17 But that actually results in a higher average
18 number of shipments for the truck scenario, 96,000 truck
19 shipments, or an average of 2,400 a year for 38 or 39
20 years. And under the mostly rail, you have 19,800
21 shipments by rail, and 3,700 by truck. That works out to
22 602 per year.

23 Now, I'm sorry to throw these numbers at you
24 without an overhead, but it didn't occur to me I would
25 come today and want to talk about Nevada's concerns about

1 transportation and the draft EIS. And unless you
2 understand these numbers and the confusion over DOE's
3 refusal to specify a preferred mode or modal mix along
4 with the issues about routing, then you wouldn't
5 understand the rest of my comments.

6 Now, Nevada also has its own view of the way the
7 modal mix should be set forth in the draft EIS. DOE's
8 approaches a bounding scenario, let's say 100 per cent
9 truck and let's say maximum rail, which is about 95 per
10 cent rail. We've been studying this issue for ten years
11 on a site by site basis. We know the ins and outs of all
12 the reactors. We know what their crane capacities and
13 their set-down spaces are. And for the last five years,
14 we've been arguing that shipments ought to be planned
15 basically on what the current capability of the reactor
16 is. That's 32 truck only reactors, 40 capable rail
17 reactors and five DOE sites. And I don't want to bore you
18 with any more numbers, but that's an in between shipment
19 scenario of 26,400 truck shipments, 14,000 rail shipments,
20 or an average of 1,000 shipments a year for 38 or 39
21 years.

22 Now, it's important to put this in perspective
23 against what the history of the industry is. The glory
24 days of spent fuel transportation in this country were
25 between the mid Seventies and the mid Eighties. For the

1 last ten years, we've had an average of about 75 to 100
2 NRC regulated spent fuel shipments a year. The experience
3 that the industry has is old experience, and by the time
4 we get to 2010, the people who supervised that, you know,
5 most of us in the business know the names, you know, it's
6 John Fisher from Vepco (phonetic), or John Vincent from
7 GPU, or Caneda (phonetic) from Duke, or Sheiman from
8 Webco, or Bob Jones, who seemed to be involved everywhere
9 in all shipments at all times for the last 40 years. The
10 people who have that experience are going to be retired by
11 the time these shipments get full tilt.

12 So it's important to contrast the history of
13 spent fuel shipments and the numbers of shipments, and the
14 shipment characteristics in larger casks, larger
15 quantities, longer distances, to understand the concerns
16 we have in the State of Nevada that when we look back at
17 the historical track record of the industry, we're still
18 not satisfied with what we see in the Department of
19 Energy's transportation plans.

20 A second general issue that I have to share with
21 you regarding the draft EIS has to do with the difficulty
22 of transportation access to Yucca Mountain. From a
23 transportation planner standpoint, put bluntly, it's a
24 terrible place to set up a facility where you have to do a
25 lot of shipping. It has no rail access. Building rail

1 access will be technically and institutionally difficult
2 and very expensive. It has no direct interstate highway
3 access. So legal weight truck shipments either have to go
4 through metropolitan Las Vegas to stay with the interstate
5 system, or they have to go through torturous mountainous
6 terrain on two lane highways characterized by sharp
7 curves, steep grades, and the general absence of
8 guardrails.

9 Heavy haul truck access will also be difficult.
10 You know, the Department of Energy has looked at
11 intermodal transfer stations at a number of locations, but
12 in each case, the routes that these heavy haul trucks
13 would have to use from the intermodal locations, or from
14 the intermodal stations to Yucca Mountain have the same
15 difficulties of either having to go through highly
16 populated and congested urban areas, or going through
17 dangerous and difficult roads through mountainous terrain.
18

19 Now, let me turn to a brief overview of what we
20 see as the major deficiencies in the Department's draft
21 environmental impact statement.

22 First and foremost, the failure to designated a
23 preferred mode or modal mix scenario, and the failure to
24 designate a preferred route for construction of a new rail
25 spur from the existing Union Pacific rail line to Yucca

1 Mountain raises great doubts in our minds about DOE's
2 ability to build a rail spur which has profound
3 implications for modal choice and the number of shipments
4 and the impacts nationwide.

5 Furthermore, we're concerned about DOE's failure
6 to designate an acceptable highway interchange for their
7 base case routing in Nevada. They have assumed that they
8 could use the new Las Vegas beltway, I-215. There are
9 both technical and institutional reasons why they will
10 likely not be able to use an interstate equivalent bypass
11 to downtown, and unless they decide to go with an
12 alternative route, or the State of Nevada designates an
13 alternative route, the base case would put all those
14 shipments through downtown, through the intersection we
15 call the Spaghetti Bowl, where US 95 and I-15 join.

16 We are also concerned about unrealistic
17 assumptions regarding the national mostly rail scenario.
18 As I said, we think the best that can be done, even if
19 there is a rail line, is to move 60 per cent of the
20 inventory by rail and 40 per cent would have to come by
21 truck. And there also are, we believe, unrealistic
22 assumptions regarding intermodal transfer facilities in
23 Nevada, and I'll talk about those in a moment when we talk
24 about heavy haul transportation.

25 Now, there are some specific issues regarding

1 transportation risk. The first set of comments has to do
2 with specification of the transportation system. We look
3 specifically at the area of risk, we find one key problem
4 throughout the document, DOE likes to give single point
5 values for risk, and we believe this generally creates a
6 false impression about their ability to quantify these
7 transportation risks. We think it's much better to use a
8 range of values that reflects the uncertainty that's
9 involved in calculating these risks, and I'll give you an
10 example in a moment.

11 Secondly, we're concerned about the under
12 estimation of routine radiological exposures using the
13 RADTRAN model. The RADTRAN model is good for some types
14 of analysis, and we use it, but it's not sensitive to
15 unique local conditions, for example, where the delivery
16 routes through places in Nevada go through small towns.
17 And we've identified locations on the routes in West
18 Windover, Ely, Tonopah, Beatty and Goldfield, where each
19 truck shipment could have a potential exposure time of up
20 to two minutes to people living and working within six to
21 ten meters of the mid point of the highway lane that's
22 going to have the spent fuel shipment. And when you look
23 at the NRC allowable dose rate of 10 millirem per hour at
24 two meters from the cask surface, and you extrapolate that
25 out, that means we're creating hot spots in Nevada

1 communities where maximally exposed individuals will
2 potentially get 150 to 260 millirems of additional
3 radiation.

4 Now, that may not be significant in terms of
5 increasing a standard accepted statistical cancer rate,
6 but you're talking about increasing exposures by 40 to 60
7 per cent over the average annual background rate. We
8 believe that that is unacceptable.

9 Additionally, the heavy haul routes, because of
10 slower speeds and larger cask dimensions, and the fact
11 that state permit conditions are going to restrict them to
12 operating during daylight hours on weekdays would further
13 concentrate the opportunities for routine exposures to the
14 public. This is a major deficiency in the radiological
15 risk assessment of the draft EIS, and is in and of itself,
16 we believe, a basis for litigation if it isn't resolved in
17 the final EIS.

18 Beyond this, we're concerned about two other
19 areas of radiological risk, the under estimation of
20 accident and terrorism incidents, and the ignoring of the
21 economic impacts of those events, and I'll show you, this
22 is an out of sequence slide, it's on the back of the
23 handout with the map. I've just been working over some
24 new consulting materials this week where we continue to
25 rework this analysis, and let me just give you an example.

1 DOE, to its credit, for the first time in any of
2 its documents is acknowledging the potential for very
3 significant radiological release from a severe accident.
4 The rail accident is larger because of the larger source
5 in the cask, and what they give you in Table 6-12 is the
6 potential for a population dose of 61,000 person rem,
7 resulting in 31 latent cancer fatalities.

8 We ran the RADTRAN model and replicated their
9 outputs, and then we used credible alternative outputs
10 which we thought were more realistic, in particular,
11 changes in the radiological characteristics of the spent
12 fuel based on cooling time, and looking at some different
13 approaches to atmospheric conditions, and we found much
14 larger results in terms of the population dose in the
15 latent cancer fatalities. And then when we use the
16 economic calculation--I'm sorry--the economic cost cleanup
17 calculation model in RADTRAN, we generated what the cost
18 of cleaning up that release in an urban area would be, and
19 there are some pretty astronomical cleanup numbers there.

20 Two points here. First of all, we believe DOE
21 was deficient in not looking at a range of values for the
22 consequences, the radiological health consequences of the
23 accident. Secondly, they totally ignored this potentially
24 horrific economic cleanup cost.

25 Similarly, looking at the way that DOE addressed

1 the successful act of sabotage against a truck cask in an
2 urban area, and the attack on the truck cask is
3 acknowledged to be greater than the rail cask because
4 primarily of wall thickness and the ability to penetrate
5 that cask with available weapons, based on a study that
6 DOE commissioned by Sandia, they came up with some very
7 new numbers. Some of you know this literature goes back
8 to Sandoval's 1982 study. And they concluded that there
9 could be a sufficient release from a truck cask if there's
10 only 90 per cent penetration by an explosive device used
11 by saboteurs or terrorists. And this would result in a
12 31,000 person rem population dose and 15 latent cancer
13 fatalities.

14 Again, we ran the model they used, RISKIND, and
15 we replicated their results, and then we looked at their
16 reference which said, you know, if the weapon completely
17 penetrates the cask, then you get a ten fold increase in
18 the release. Now, we would argue that they still have not
19 captured the worst case analysis, and I'll be happy to
20 talk to this point in question and answer. But, again,
21 our bottom line here again is they neglected to do two
22 things. They should have given a range of values
23 considering a range of inputs to their model, and then
24 they should have used their economic calculator in RADTRAN
25 to talk about what the cost of cleaning up that release in

1 an urban area would be. Again, you see very specific
2 impacts.

3 Other impacts I would argue are equally
4 important, but perhaps less catching of the imagination
5 than these radiological ones are. The under estimation of
6 the requirements for building the rail spur, certainly
7 we're talking about \$400 million to perhaps a billion or a
8 billion and a half dollars to build a rail spur. DOE's
9 estimates of upgrading the highway infrastructure are off
10 at least by a factor of ten. It's going to be much more
11 expensive, particularly to upgrade these roads to handle
12 heavy haul trucks.

13 They've certainly under estimated the impacts on
14 Indian tribes and local governments, and they've ignored
15 the potential adverse socioeconomic impacts resulting from
16 perception of risk. They always turn to the Metropolitan
17 Edison case which we don't feel applies here. Any place
18 where we can show that there is an increase in routine
19 radiological exposures, we believe there is a basis for an
20 impact on the environment. And wherever there is an
21 actual impact on the environment that's measurable, they
22 must address the economic consequences of it.

23 Finally, we're concerned about their failure to
24 disclose to the public what they actually did in the draft
25 EIS. Now, what they actually did in the draft EIS was in

1 my opinion very illogical, and Steve Maharis (phonetic)
2 and some of the other technical people that worked on this
3 project did a good job once we were able to pick through
4 their data sheets and their model outputs. They actually
5 ran the routing models. They actually came up with a
6 defensible base case for the truck shipments across
7 country. But then they decided first not to reveal what
8 they had done in the draft EIS. Secondly, they decided
9 not to reveal what they had done in the notices for the
10 public hearings. And, thirdly, for the most part in the
11 public hearings, both in Nevada and around the country,
12 they did not talk about what they had actually generated
13 with their routing and shipment models as the basis of
14 their impact analysis.

15 This is not a properly labeled map because I just
16 got this last Monday. This is one of the products that
17 the Transportation Research Center at UNLV is doing for
18 us, and this is what DOE's base case truck shipment
19 analysis used in the Chapter 6 analysis, documented in
20 Appendix J, documented in the worksheets that you can find
21 on DOE's website. This is what their shipment map looks
22 like. We think it would have been so much better for
23 everyone else if they had just revealed in the document
24 what they actually did.

25 Finally, there are some additional areas, loose

1 ends where we're doing additional research. One is a
2 study of the I-215 beltway. We're doing mapping and GIS
3 coverage update. We're doing some interesting work
4 supporting Miles Greiner at UNR, who incidentally, as far
5 as I know, is the first researcher to be simultaneously
6 funded by DOE and by the State of Nevada to work in this
7 case in a very important area of benchmarking the new Cafe
8 Fire Code that's being developed at Sandia, and also
9 looking at some of the testing issues involved in the
10 performance of casks in severe fires.

11 Later this summer, Professor Shashee Nambian
12 (phonetic) at UNLV, who was in a previous life a military
13 aircraft designer, and now a transportation engineer, will
14 look at some of the specific issues involving unique local
15 conditions in Nevada, and accidents that may exceed the
16 national reasonably foreseeable accidents. Because,
17 remember, we have a lot of airplanes both carrying live
18 munitions and some potentially dangerous dummy munitions,
19 i.e. steel tipped, 1000 pound concrete bombs. This is an
20 issue that DOE identified, to its credit, in 1986 in the
21 draft EIS for Yucca Mountain. 14 years later, they have
22 not resolved the issue of military over-flights.

23 Finally, we're doing some work on radiological
24 sabotage response training for first responders at UNLV.

25 Let me quickly run through these last two points

1 about dealing with the NRC. Many of you know we filed a
2 petition last summer for rulemaking with the NRC. It was
3 the last major piece of work that I did before I was
4 swallowed by the draft EIS. And the petition was accepted
5 and docketed, published in the Federal Register. Comment
6 period was extended. Comment period closed at the end of
7 January. There are about two dozen comments. These are
8 all available for you to review, as well as the full text
9 of our petition, at the NRC's rulemaking website.

10 What we asked the NRC to consider in the petition
11 were two specific actions. One is to move right now based
12 on what we know about the terrorism and sabotage, to make
13 specific changes in our 10 CFR 73, which would better
14 deter, prevent and mitigate the consequences of
15 radiological sabotage against shipments.

16 We also asked for a second action, that the NRC
17 should conduct a new and comprehensive assessment of the
18 consequences of terrorist attacks that have the capability
19 of radiological sabotage in three areas. The first,
20 attacks against infrastructure. The second, attacks
21 involving capture and use of explosives. And, third, the
22 use of weapons that don't require attack.

23 Now, many of you who know this literature know
24 that the second point is what the NRC has addressed in the
25 past, and is the type of an attack scenario that DOE

1 addressed in its study.

2 The grounds and interest that we have used to
3 support this petition, while they are very much affected
4 by DOE's proposal to build a repository, also reflect our
5 concern about the potential that Congress will insist on
6 siting an interim storage facility in Nevada. And in our
7 petition, we review a number of issues that have to do
8 with changes in the terrorist threat, and what we believe
9 is the increased vulnerability of shipping casks to
10 attacks with high energy explosive devices.

11 I checked on Friday, there had been no action on
12 the petition. The way it goes with big petitions is the
13 NRC has a lot to chew on, and they usually take their
14 time. We have reviewed in preparing for our petition all
15 of the relevant petitions that have been submitted in the
16 last 15 years. I'll be very surprised if we hear anything
17 from the NRC before September or October. But I would be
18 delighted to be surprised by some early action.

19 Finally, let me talk about the process that Rob
20 Lewis talked about earlier. It's really nice to be able
21 to end a presentation on a happy note. So let me first of
22 all give you the unhappy note. The NRC is doing two
23 things to update the modal study. One is they've
24 published this risk reassessment prepared by Sandia,
25 NUREG-6672. And we're extremely unhappy, both with the

1 process they used and the results of that study.

2 There was not appropriate stakeholder input or
3 peer review, and they repeat many of the mistakes that we
4 felt were done in the modal study. For example, the use
5 of codes that haven't been properly benchmarked. But
6 that's another debate for another time, and anyone who
7 wants to see that can either come to Las Vegas on August
8 15th, or come to the NRC auditorium in Rockville on
9 September 13th. I guarantee you that sparks will fly.

10 But there's something really good that I can end
11 this discussion on, and that is whether it's the influence
12 of the new chairman or whatever policy, this commitment
13 that the NRC seems to have made to enhance public
14 participation, my goodness, it actually seems to be
15 happening.

16 Now, last night, my airplane circled the Salt
17 Lake City airport as I watched the lightening storm that
18 some of you were probably stranded by on the ground, so I
19 had time to read the scoping study that came in the mail
20 on Friday morning. And this is Sandia's summary of all
21 the public comments, stakeholder comments that have been
22 thrown into this process, and I am going to tell you that
23 I was astounded by how refreshingly objective and open
24 minded it was.

25 Now, the folks at Sandia know my biases over the

1 last 20 years as well as I know theirs, so I want to today
2 give them credit for having the discipline to stand beyond
3 both work they've done in the past and what I know to be
4 their personal opinions about certain issues, like testing
5 and different types of analysis, and really applaud a very
6 objective piece of scoping work. I would hope that the
7 Board would follow this proceeding, because as I said,
8 it's one of the few encouraging things that I've seen
9 happen in the 20 years that I've been working on nuclear
10 waste transportation, and I only hope that the NRC will
11 follow through and give the same kind of weight to the
12 opinions of the stakeholders that they seem to be doing.

13 I'm very sorry for taking so much time on the
14 prepared part of this presentation. I really do
15 appreciate the opportunity to update you on what we've
16 been doing in the State of Nevada.

17 Thank you very much.

18 ARENDT: Question from the Panel? Dan?

19 BULLEN: Bob, this is just by way of a little
20 clarification. In the bounding analysis done in the draft
21 EIS on mostly rail versus mostly truck, DOE tried to put
22 their arms around a big problem. And I kind of agree with
23 you that they're going to actually use what capabilities
24 exist at the nuclear facilities and determine it.

25 Can you explain to me why you think that the

1 bounding analyses didn't put their arms around the whole
2 picture?

3 HALSTEAD: That's a really good point. I haven't
4 evaluated all of the impacts from the standpoint of mostly
5 rail or mostly truck and our in between current
6 capabilities. The one easy one that was obvious for us to
7 do is to actually look at the routes that DOE had picked
8 for shipments from specific reactors to Yucca Mountain,
9 then use our format or our matrix of who ships by rail and
10 who ships by truck. And what I found is that--and I'm
11 sorry, I have to look this up to get you the exact number--
12 -but there is a major difference in the number of states
13 that are affected by both rail and truck shipments, and
14 the number of states that are affected by a variety of
15 routes.

16 So just from the standpoint of preparing the
17 corridor states, the local jurisdictions and the Indian
18 tribes for their participation and transportation
19 planning, their consideration of alternative routes, the
20 things that Jim was talking about, because Tim's comment
21 about training first responders, we all get hung up on
22 this, you know, that is something that's difficult to do
23 in advance, but everything else should be done seven to
24 ten years in advance. So the EIS is a very good tool for
25 predicting who is likely to be affected, what routes are

1 affected, what modes they have to deal with. Dealing with
2 a truck accident is very different than dealing with a
3 rail accident.

4 So on that issue alone, I would argue you get a
5 much more realistic assessment of the national impacts of
6 transportation by running that in between scenario. But
7 I'll be honest. I think there's always use in doing a
8 bounding scenario, and I hate to say this because I'm a
9 pro-rail person for safety reasons, but we've been looking
10 at both the economic and institutional issues with rail,
11 and if I were advising a client who is putting in a bid
12 for one of those regional servicing agreements--and, Jim,
13 I might end up doing that--I'm telling you there would be
14 a strong case to move everything by legal weight truck, if
15 you put aside the safety and institutional things.

16 Remember, DOE's market driven approach says we're
17 looking for people to do this on more or less a fixed cost
18 contract, and so I think it's actually to DOE's credit
19 that they put the 100 per cent truck scenario in there,
20 because unfortunately, that might be a lot more probable
21 than most of us who are involved in transportation would
22 like.

23 In order to maximize rail the way that they've
24 laid it out, I mean, they have to do some exotic things.
25 I mean, they have to barge big rail casks out of the

1 Kiwaunee and Point Beach reactors and take them into the
2 Port of Milwaukee. They've got to take big rail casks and
3 put them on barges and take them into the Port of
4 Baltimore. Having worked in the Coastal Management
5 Program in a previous life, and I know that some people
6 will argue that there's a precedent with the Shorem
7 shipments to Limerick, those occurred because they were
8 not very radioactive. And in the end, even the
9 environmentalists like Marvin Resnick advised the people
10 involved, you know, don't spend a lot of time fighting
11 these shipments. The radiological risk really isn't here.

12 I think it will be very different when people
13 come up with these exotic intermodal movements on the
14 reactor to mainline in. So that's why I go back to saying
15 that I think the in between current capability scenario is
16 the most likely one and the best for planning purposes. I
17 like doing the 100 per cent truck, because that might be
18 what happens. And I don't have a problem with DOE setting
19 out that mostly rail as a target that would be preferable
20 in terms of reducing the number of shipments, but they
21 have not at all dealt realistically with the institutional
22 and technical issues and the costs, and indeed, the simple
23 absence of commitment.

24 You don't hear DOE folks coming out and saying
25 that they're strongly committed to maximum use of rail.

1 And, in fact, even in the RFP, there's kind of a fuzzy
2 little sentence in there that says, well, we'll hope that
3 the people who submit proposals are going to maximize
4 rail. There's a simple solution to that. You make
5 maximization of rail one of the criteria that you use in
6 selecting the successful bidders. There are a number of
7 ways to address this institutionally, either in a program
8 document like the EIS, or in a procurement action.

9 Anyway, I'm sorry, but I think in some ways, this
10 is the single most important uncertainty about the
11 transportation system. So there are some good reasons for
12 DOE doing that bounding scenario. But I think you have to
13 have that in between one.

14 BULLEN: Bullen, Board. Just a little follow-up
15 question to that one, and maybe you lost me in the
16 explanation of the differences between not getting your
17 hands around the bounding case, but besides the route
18 selection and the differences that you would have had and
19 heroic measures to move large casks in and out of plants
20 that don't have rail spur access, is there a significant
21 difference in, say, the person rems calculated for each of
22 the--I mean, does the person rem calculation found the
23 case, I guess is the question, from your perspective?

24 HALSTEAD: That is such a technically difficult
25 question to answer that I'm going to give you my apology

1 first for not having a good answer, because we're still
2 trying to figure out how we will deal with this.

3 Our assumption is that DOE will not do a much
4 better job in the final EIS than they did in the draft,
5 and so some of the things I'm working on I won't share
6 with you because they're part of litigation strategy.
7 However, understand that in Nevada, these impacts are very
8 different than they are nationally.

9 To the extent that there may also be unique local
10 conditions between particular reactor origins where, you
11 know, those nefarious pickup and delivery routes, as
12 they're called, where you have to use local highways, it
13 may also be that there are locations where the routine
14 exposures are a problem. But clearly in Nevada, there
15 are--there are two aspects to this. One is when you do an
16 aggregate analysis using a tool like RADTRAN, it's very
17 important that you (a) use the most recent population
18 data, and (b) you have to put the non-resident population
19 data in.

20 So on those grounds alone, I would argue that
21 whether we're prepared to say there's a big difference
22 between rail and truck, we're prepared to say that there
23 is an insufficient analysis to allow a rational decision
24 based on the fact that DOE did not have the right
25 population inputs when it applied RADTRAN for the Las

1 Vegas valley.

2 But beyond that, there is the issue of impacts
3 along these unusual routes. I mean, for example, you come
4 into Ely on US 93, and you have to make a turn to catch US
5 6 to go across the middle of Nevada, and I've stood there
6 with my stop watch timing trucks making that left-hand
7 turn at that light, and there are people's homes and
8 businesses within 30 meters of that lane. You have to go
9 and use another tool. One tool is the RISKIND model,
10 which has some potential, and again, we are just getting
11 an understanding of this enough to do that. But there
12 also are some hand calculations that you can do using the
13 exposure rates and exposure time and calculate it.

14 So I have a feeling that the one thing that might
15 work against the economics of truck is when we start
16 looking at the routine radiological exposures from truck
17 delivery in Nevada. There are going to be big time
18 exposures. They're not going to be exposures that can be
19 just written off, you know, as a fraction of background.
20 We're talking about significant percentages of the average
21 annual background radiation being added onto what people
22 already receive.

23 So I guess in that, I would say that I think on
24 the routine radiological issue, probably rail looks much
25 better, and that is certainly the approach that Nevada has

1 taken all along. And I know people, you know, many people
2 are offended by our strident adversarial critiques of DOE,
3 and I appreciate that. It's also important to remember
4 that we have taken formal policy positions on most of
5 these issues. I mean, we've had a position out there
6 since 1990 that says all other things being equal, rail is
7 the way that you should go for safety reasons. It hasn't
8 been backed up by a precise radiological impact analysis.
9 And then we've added on the same issues that the AAR is
10 concerned about, which is equipment design, dedicated
11 trains, and the safety protocols.

12 So to that extent, you know, we've taken a
13 position that the preferred mode ought to be rail, but
14 that doesn't, unfortunately, solve DOE's problems in
15 figuring out how to get the rail casks from 30-some
16 reactors that have difficult access, and then how to get
17 all of them to Yucca Mountain where the newest existing
18 rail line is about 105 miles on a straight shot, and some
19 of the routes, frankly, are almost unbelievable at 300 to
20 380 miles. You're talking about the biggest new rail
21 construction job in this country since World War I, and
22 through some difficult terrain. And in the old days, we
23 could have built those without NEPA and without OSHA. You
24 know, now it's a very difficult thing to build railroads
25 in rough terrain.

1 BULLEN: Bullen, Board. Just one last question. You
2 mentioned these analyses that you're doing in your
3 modeling. Are you going to have your results done end of
4 the year, or sometime soon, and would you be able to share
5 those, I guess is the question? And that's probably it.

6 HALSTEAD: We've been struggling with it, because our
7 past practice has been as soon as we've completed our
8 internal reviews, we've posted them on our website. We
9 haven't always published them in hard copy with document
10 numbers. To be frank with you, the last set of analyses
11 that we've done with RADTRAN and RISKIND, both for the
12 sabotage and the accident consequences, are so startling
13 in terms of the radiological health consequences and the
14 economic analyses, that I'm not comfortable putting them
15 out yet until we subject them to some type of a fierce
16 internal peer review. And budget limitations have kept
17 us--some of you know that in the past, we had a very
18 formal internal peer review process with outstanding
19 transportation folks like Edith Page, who had been at OTA,
20 and Mike Bronzini, who was head of the transportation
21 center at Oak Ridge, and we haven't had the funding for
22 that kind of internal peer review.

23 But, yes, as soon as I'm satisfied with them,
24 they will be posted electronically, and then we'll decide
25 what peer review before we do, and publish it.

1 BULLEN: Thank you.

2 ARENDT: Any other questions?

3 (No response.)

4 ARENDT: Thank you very much. Our next speaker this
5 afternoon is Fred Dilger from Clark County, Nevada. He is
6 going to speak on the views of affected local governments
7 on spent fuel transportation. Fred is with the
8 Comprehensive Planning and Nuclear Waste Division in Clark
9 County. He's a transportation planner.

10 DILGER: Good afternoon. I'm very glad to be able to
11 be here to talk with you today, although frankly, Charlie
12 Dettmann has ruined my airplane flight home.

13 I'm going to go through some of the concerns that
14 the affected units of local government have with the DEIS.
15 I'm going to try and not repeat a lot of what Bob said,
16 but we are going to flog a dead horse in some areas.

17 I'm going to talk about three things in
18 particular. The first are cumulative effects, the next is
19 transportation assessment concerns. We've generally
20 divvied those up into three areas; national, those that
21 are of unique concern to the affected units of local
22 government, and the last, generally program-related that
23 relate to the management of the program. The last thing
24 I'm going to talk about is emergency response.

25 I'm not going to read this to you. I want to

1 just talk about the bottom line is this last bullet here.
2 The Department of Energy's draft environmental impact
3 statement for the Yucca Mountain project did not address
4 the shipment of low level waste and other kinds of waste
5 to the Nevada Test Site. The reason this is especially
6 important to us is because, as you know, the Waste
7 Management Programmatic EIS was--a record of decision of
8 that was published last year and we are now expecting
9 very, very, very increased volumes of waste will be now
10 shipped to the Nevada Test Site.

11 When we received the Nevada Test Site's EIS, we
12 noticed that it did not comment on the shipment of waste
13 to Yucca Mountain, and we made that comment. We said
14 you're not talking about this other waste stream and what
15 its likely impacts are. The response we got was, well, it
16 will be in the Yucca Mountain EIS.

17 When we reviewed the Waste Management
18 Programmatic EIS, there was no comment in there of the
19 shipments to Yucca Mountain. When we commented on that,
20 the response we got back from the Department of Energy
21 was, well, that will also be in the Yucca Mountain EIS.

22 It was not in either. The Department of Energy
23 has a lamentably consistent way of doing EIS's, and this
24 is certainly an example of that.

25 The reason these impacts are substantial, this

1 map doesn't come up very well in black and white, last
2 year we reached the end of a seven year process of we
3 thought was a cooperative effort between ourselves in
4 Clark County, other affected units of local government,
5 the state of Nevada, and the Department of Energy to try
6 and reach conclusions and to get some kind of consistent
7 routing for low level radioactive waste.

8 Jim earlier mentioned the frustration that local
9 governments had because of dealing with the different DOE
10 facilities and trying to get some kind of consistent
11 policy out of them. We have been unable to do so.

12 Last year, we thought we finally reached that
13 moment where we would be able to cooperate with the DOE
14 and they would address concerns that are especially
15 important to Nevada.

16 A couple weeks ago, we got the report for the
17 second quarter of low level waste shipments to the Nevada
18 Test Site. It now turns out that we had waste travelling
19 on city streets in three of the five most dangerous
20 traffic areas in the state, all in violation of the
21 agreement that we thought we had with the Department of
22 Energy.

23 If the Department of Energy wanted to antagonize
24 elected officials in Southern Nevada, particularly Clark
25 County, if they had set out to do that, they could not

1 have done it in a better way than they have done.

2 Now, to move to the DEIS concerns, I'm not going
3 to read all these bullets. The first one I want to talk
4 about is the single route strategy. This was something
5 that Bob Halstead kind of alluded to in his presentation.
6 We think that the Department would have been much better
7 advised had they assumed different routing alternatives
8 that would have (a) spread the risk of the waste movements
9 a little bit more equitable, as well as avoided weather
10 and other conditions that, frankly, the industry has no
11 experience transporting waste in.

12 There's very little experience transporting waste
13 in winter weather, very inclement weather, and these are
14 things that they should have thought about. We think it
15 indicates a very shallow analysis on their part.

16 The other bullet I want to highlight here is for
17 20 years, scholars have been studying the impact of human
18 error, institutional failure on risk. For 15 years, the
19 state as well as the affected units of local government
20 have been advising the Department of Energy that they need
21 to consider this in their risk analysis.

22 In the DEIS, they allude to it and then proceed
23 to ignore it. We think that's a major failing. We hope
24 that now that the Forest Service has actually burned down
25 a part of a national lab, the Department of Energy may be

1 spurred into action on this particular topic.

2 Some AULG concerns, I'm going to flog a dead
3 horse here. DOE called it an implementing alternative.
4 The fact is that until there's a definite route that has
5 been defined through Nevada, we're all left hanging. We
6 don't know which areas to analyze. We don't know which of
7 the affected units of local government will be most
8 impacted. It keeps the doubt out there.

9 Additionally, once again, it corrodes trust in
10 the Department. In 1985 in the EA for Yucca Mountain, we
11 were told that in the EIS, the final route selection would
12 be made. In 1995, the Department of Energy released this
13 report that said the final route selection will be made in
14 the EIS, and that the AULGs will have a part in selecting
15 that route. None of that happened. None of that was even
16 alluded to in the EIS. Once again, this is something that
17 elected officials look at and use to gauge the reliability
18 and trustworthiness of the Department.

19 The other bullet I want to talk about here is
20 that the proposed action in the DEIS is extremely complex
21 and deserved much greater attention to detail and some in
22 depth thought. I was prepared to do highway capacity
23 software analysis and lane congestion analysis and all
24 sorts of other efforts to get--as a part of reviewing this
25 EIS. None of it was necessary because the details weren't

1 there.

2 It is possible that the Department doesn't think
3 that there is a significant impact from this action, but
4 it hardly seems credible. I want you to imagine a
5 frontage road, not much different than the road in front
6 of this hotel, carrying a 200 foot long heavy haul tractor
7 trailer, escorts on either end, 300 feet long total, with
8 a 125 ton rail cask on top of it, up and down four times a
9 day, two empty, two full, with 20,000 other cars during
10 the morning and evening rush hour. Do you think there
11 would be some impact with that? Do you think that's
12 something the Department of Energy should have
13 anticipated? We think they should have looked at that.

14 One of the things that local governments do a lot
15 of, and they do it very well, is they look at impact
16 analysis. It's bread and butter. And, frankly, if you
17 were constructing a Burger King in Nevada, you'd have to
18 do a better job and a more penetrating analysis than was
19 done in this EIS.

20 Some program concerns. There's that dead horse
21 again. Once more, we've been left out in the cold on
22 implementing alternatives. We just don't know which route
23 will be chosen through Nevada. Another interesting
24 question is, as we saw in this other slide, the Department
25 indicated that they would identify criteria by which to

1 evaluate routes. Presumably one of those is human health
2 risk. This goes partly to the question you asked, Dr.
3 Bullen, now that we know--or let's say we get very good,
4 reliable human health risks, how will those be weighted
5 against other factors like cost and other potential
6 considerations? That's unclear in the EIS.

7 Three years ago--let me talk about this bullet
8 here--three years ago, I was at the State of Nevada
9 Committee on Roads and Highways. These are the
10 legislators who oversee the expenditure, construction and
11 maintenance of our highway system.

12 A DOE staff member was there briefing them on the
13 Yucca Mountain program. He had detailed engineering
14 drawings that showed curve cuts and all the different
15 things that would be required to move heavy haul vehicles.
16 One of those things would have been to tear down the
17 oldest adobe structure in Nevada. All of this detail had
18 been thought through.

19 When he finished his presentation, the
20 legislators asked him some questions. Who will build
21 this? Who will maintain it? Where will the money come
22 from? The DOE official had no answer for that.

23 My boss was sitting next to me. He was my then
24 boss. He was the Director of the Department of
25 Transportation. He jumped right up, grabbed the

1 microphone, and said we're not building any of this. The
2 Department is going to have to build it themselves,
3 because we're not going to build it. Here again, the
4 Department has not thought through how they're going to do
5 this.

6 Bob talked about the additional costs of this.
7 We agree with the state and we believe the Department has
8 grossly under estimated what it's going to cost. One of
9 the things they didn't include in their cost estimates was
10 the cost to acquire right-of-way.

11 In one particular case, let me give you an
12 example, the City of Las Vegas has pinned all of its hopes
13 for future growth on the Las Vegas Town Center. It's
14 going to be a densely developed industrial and commercial
15 area at the intersection of US 95 and the northern
16 beltway. To acquire right-of-way to expand to an extra
17 wide lane that would accommodate a heavy haul truck is
18 going to be extremely expensive. And here again, the
19 Department did not consider that.

20 Another aspect of this is Las Vegas, nor
21 surprisingly, has air quality problems, and so for the
22 construction of any of these facilities that they mention
23 in the DEIS, an air quality conformity finding is going to
24 have to be done, and it's going to have to fit into the
25 regional transportation plan. No thought of those

1 interactions was considered in the EIS, and we think those
2 are substantial weaknesses.

3 Finally, this quote is kind of a popular bullet.
4 It's been attributed to Dorothy Parking talking about
5 Oakland. She could have been talking about the DEIS.
6 There are three pieces of information related to emergency
7 management in the DEIS. The number of people that die,
8 they die of latent cancer fatalities for a truck accident,
9 a rail accident, and the circumference of a spill, 100 to
10 300 feet. That's it.

11 We took the DEIS to our statement emergency
12 response committee, to our local emergency planning
13 committee, and we said what would you need to respond to
14 this accident? They came back to us and said we have no
15 clue. There is not enough information.

16 This goes to your question, and the question that
17 you asked Jim Reed earlier, we're not even at the point
18 where we could begin to estimate what those dollars might
19 be, or even what the time sequence might be, because we
20 don't have a design accident, which is the maximum
21 reasonably foreseeable accident. That is mentioned in the
22 EIS, but nowhere described. We think that's a substantial
23 weakness.

24 The whole reason for doing an EIS is to establish
25 the basis for mitigation negotiations. That's why you do

1 it. And that means that the information has to be
2 presented to the people who are affected by it, and that
3 information is not in the EIS, and we think the EIS will
4 not be sufficient until after many other changes are made,
5 but especially this one.

6 So to conclude, I've got a request for the NWTRB
7 and a recommendation. The request is that we would ask
8 you to insist that the DOE address the NRC comments. The
9 AULG comments are very good. The NRC comments were also
10 very good, and we would be very, very pleased if the
11 Department would respond to the NRC comments. That would
12 give us a lot of confidence.

13 We agree with Bob that the NRC's public
14 involvement program over the modal study has been just a
15 watershed, and they are doing a great job. They did a
16 great job on the DEIS, and we would like to see them
17 answer those comments.

18 So my recommendation is to Don Doherty, and that
19 is to build the extension to that shed, because frankly,
20 the Department of Energy has given--handed opponents to
21 this project 15 years worth of ammunition from a
22 litigation standpoint.

23 So with that, I'll answer any questions.

24 ARENDR: Any questions? Comments?

25 (No response.)

1 ARENDT: Well, then we've reached the end of our
2 session. I want to thank each of the participants for
3 some very good presentations.

4 We have no questions and comments from the
5 public, so in the absence of that, I will ask anybody here
6 in the audience, anybody who would like to make any
7 comment?

8 (No response.)

9 ARENDT: And hearing or seeing that there isn't
10 anyone, I move that we adjourn. And thank you all for
11 coming.

12 (Whereupon, at 4:25 p.m., the meeting was
13 adjourned.)

14

15

16

17

18

19

20

21

22

23

24

25

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8