

PROPOSED PLAN PUBLIC MEETING

Proposed Plan for Neihart Residential Soils

(Operable Unit 1)

Carpenter-Snow Creek

Mining District Site

Cascade County, Montana

TRANSCRIPT OF PUBLIC COMMENTS

Neihart, Montana

Wednesday, October 25th, 2006

6:37 - 8:25 P.M.

1 Karen Ekstrom with CDM started the meeting at
2 6:37 P.M. with a brief introduction of plan and agencies
3 involved.

4 At 6:43 P.M. Scott Brown, with EPA, discussed
5 highlights of proposed plan.

6 At 6:59 P.M. the following question/answer period
7 was held:
8

9 MS. COOK: What effect will Belt Creek have in
10 Monarch?

11 MR. RENNICK: Belt Creek. We sampled Belt Creek
12 surface water all the way through town here and at the
13 mouth of Carpenter Creek. And what we found was that the
14 water along this stretch, down to Carpenter Creek, is clean
15 and meets water criteria. And the water below Carpenter
16 Creek usually meets water quality criteria, except when you
17 have runoff coming out of Carpenter Creek. We were here
18 one day and sampling --

19 MS. COOK: Sometimes it's copper color or ugly
20 color.

21 MR. RENNICK: Yes. All of a sudden it just
22 turned to chocolate milk. And we followed that up, and
23 sure enough it was coming out of Carpenter Creek. So,
24 yeah, the metal levels were high in the water.

25 MS. COOK: Does it go all the way to Monarch then

1 and completely down to like Belt eventually?

2 MR. RENNICK: I would say that, you know, when
3 there's a big volume of water going down there, it gets
4 fairly diluted, even though there's contamination moving
5 down, the contamination levels aren't too high. I wouldn't
6 suspect, I don't know for sure, but I wouldn't suspect that
7 the water near Monarch is contaminated very often.

8 MS. COOK: That's what I would like to know. May
9 I have your picture, please?

10 MR. BROWN: May I add to that comment, ma'am?
11 What is your name, please?

12 MS. COOK: Pardon.

13 MR. BROWN: Your name.

14 MS. COOK: Beverly Cook.

15 MR. BROWN: Mrs. Cook, you probably in Monarch
16 have seen the worst of the contamination that can come down
17 through Monarch through Carpenter Creek and Snow Creek and
18 from Neihart. But what would happen if we saw another
19 flood like the 1964 flood? We just don't know.

20 MS. COOK: No, we don't.

21 MR. BROWN: But after we are able to clean up
22 Neihart, and that's the most important thing we have on our
23 plate right now at EPA --

24 MS. COOK: That's what I wanted to know.

25 MR. BROWN: -- because of the potential for human

1 health, then we'll be able to move into Carpenter Creek.
2 And if you've seen those tailings piles up there and the
3 Silver Dyke mine and several other mines and waste piles,
4 we'll then turn our attention to those. They're not as
5 much of a human health threat. They're more of an
6 environmental threat. And certainly something Monarch
7 people should be concerned about. We'll then hope that we
8 can address those over the next few years.

9 MS. COOK: Okay. Thank you.

10 MR. BROWN: Come on, you must have some
11 questions.

12 MR. WILLIAMS: I've got a question.

13 MR. BROWN: Sir.

14 MR. WILLIAMS: When you were doing testing a
15 couple of years ago, I think you call it a screening level
16 of lead was 400 parts per million. Now, you're talking
17 about 1200. Why?

18 MR. BROWN: There's a model that EPA uses on a
19 national level, and there are some sites where 400 parts
20 per million lead can cause a greater likelihood than we're
21 willing to accept, that more than five percent of the
22 children in that population might have a blood lead level
23 above 10 micrograms per deciliter. I'm sorry that that
24 sounds so technical, but that's what it's based on.

25 A model, again that's used given the situations

1 of a community, the types of lead that are there, there are
2 some model outputs that tell us that 400, even 250, is a
3 screening level, 250 parts per million lead often comes out
4 as a screening level by use of that model. So you choose
5 at the beginning the very lowest level that you think might
6 come out of the studies.

7 After all that is said and done, though, after we
8 ran the model specific for Neihart, we had a pretty broad
9 range -- you know how computer mathematical models are,
10 there's a lot of uncertainty in them. So we had a range
11 from about 250, 400 and clear up to about 2700 parts per
12 million lead that was considered, you know, possible of
13 producing less than five percent of the population of
14 children with blood lead levels of up to 10 micrograms per
15 deciliter. So we chose what we thought was a protective
16 level.

17 That level was consistent with levels that have
18 been chosen in Butte; Anaconda; and an interim level, it's
19 not a final level, in East Helena. But we have substantial
20 amount of blood lead data for East Helena kids. About 2000
21 kids have been tested over the last ten years, and the
22 highest blood levels we're seeing there are now 4 or 5
23 micrograms per deciliter. So, thanks, that's why we do
24 that.

25 Cathy may have more to respond to that too.

1 MS. LeCOURS: Catherine LeCours, Montana
2 Department of Environmental Quality. For the residents,
3 could you just clarify if your intention is to clean up all
4 the parcels or only developed parcels now, what may happen
5 to future development? I noticed as you were going across
6 your pages, you kind of alluded to if a house was built at
7 some point. Could you just clarify, because I know there's
8 been some changes in some of the wording that has been
9 used.

10 MR. BROWN: The sampling focused on developed
11 properties, properties where there was an existing house.
12 But there are two ways to approach that, and we may not
13 know until we're in the actual cleanup itself whether we
14 would call this area that was not sampled part of the
15 exposure unit for this developed area.

16 Actually I should choose another example here.
17 Here's a mostly undeveloped property that wasn't sampled.
18 Here's an area that was sampled, and there's a dwelling
19 there. As you can see, we concentrated most of the
20 sampling on developed properties. But there are two ways
21 to deal with that. We could either go back and say, well,
22 that's part of the exposure unit. Meaning we're standing
23 there on the property, if a child lives there, is that
24 child likely to be able to play in the next yard? These
25 are probably small lots, and usually the answer is yes. If

1 it's above that [the selected cleanup level for lead, we
2 will still clean it up] or if it's not above it, and we
3 don't know what it is yet, we will sample it.
4 Determinations are made at the time of the cleanup about
5 what we would have to do to protect a child, if a child
6 lived there.

7 Another way to do it is to say that it's likely
8 that everything that is undeveloped in Neihart is likely to
9 become developed; and, therefore, we need to sample
10 everything. And normally we don't do that until a process
11 we call remedial design. After we decide what is the
12 appropriate action level, work out what are the
13 institutional controls, then we come in and we do more
14 sampling. And I can assure you more sampling will be done,
15 and decisions then are made in remedial design about just
16 those kinds of things.

17 That's not a complete answer, but I can assure
18 you that we aren't going to just do the developed lots and
19 leave the undeveloped lots untouched. One way or another,
20 they will have to be addressed. Will we sample every
21 undeveloped lot in Neihart? I think it's too early to say.
22 But I personally do not believe, especially south of here
23 [pointing to the community center on a large map], every
24 lot has to be sampled. That gets to be a very expensive
25 and time consuming venture. But, again, until remedial

1 design, we won't know that.

2 Mr. Baker.

3 MR. BAKER: There's a lot of fires that occurred
4 this last summer, and the Forest Service informs me that
5 more fires started in the Little Belt Mountains this last
6 summer than for a number of years. It was a wet summer, so
7 the fires were fortunately put out. When we get a really
8 dry summer, then they can't hold it. And five, ten,
9 fifteen square miles is burnt up the valley from here, and
10 then you have ordinary rainstorms, not the big, big flood,
11 but ordinary rain storms, it's going to flush the material
12 that's downstream from here all the way down to Monarch.
13 In particular there's a lot of the material that was not in
14 the flood plain that is down into the flood plain. And
15 you've got boulders six feet in diameter that just go. And
16 with that kind of velocity, the tailings --

17 MR. BROWN: Neihart tailings pile.

18 MR. BAKER: Yeah, it's down in the creek bottom
19 there. There's over six feet in diameter. So why isn't it
20 going to just flush it down to Monarch? Why doesn't this
21 action really have the potential for directing the compound
22 to people downstream, including Monarch?

23 MR. BROWN: Well, you've just made what I think
24 is the argument for taking the Neihart tailings out of the
25 Belt Creek flood plain and moving them to a safer place,

1 which we propose to do. Thank you. I hope everybody
2 supports that. We think that's roughly half the cost of
3 doing it [the entire cleanup for Neihart], but it [Neihart
4 tailings pile] shouldn't have been there in the first
5 place. We used it as a temporary storage pile for the work
6 we did in 2004.

7 MR. BAKER: Well, in putting the Monarch
8 community at risk, we were not consulted.

9 MR. BROWN: Well, we did the best we could with
10 the limited amount of funding. And that's why we're coming
11 back two years later and saying we want to get it out of
12 there. We don't want it to sit there any longer. We would
13 actually like to do this work in 2007.

14 MR. J. ANDERSON: Did I hear you correctly that
15 you used that particular spot for a temporary spot to store
16 some other materials?

17 MR. BROWN: In 2004, which was the second year
18 after we had begun doing testing -- this was designated as
19 a Superfund site in 2001. By 2003 and 2004, EPA had CDM,
20 our contractor, up here sampling. And when we saw lead
21 levels as high as 20,000 and 40,000 parts per million, we
22 just said, oh, we've got to take some immediate action.
23 Those are levels you don't want anywhere. A child who
24 might just spend a month up here with grandma and grandpa
25 could be exposed to that, and that's dangerous.

1 So we identified as much of that as we could in
 2 Neihart, but most of it was associated with these two mills
 3 [pointing to two former mills in Neihart on large map], the
 4 old mill from World War II right next door [to the
 5 community center] and the old mill on the north side of
 6 town. And those areas were cleaned up. So that we don't
 7 have any areas, that we're aware of, in Neihart that are
 8 above about 2600 or 2700 parts per million. Still not
 9 safe.

10 So what we're talking about now is what's left
 11 between 1200 and 2700. We want to get those out of here
 12 too. But the answer to your question is yes, we had
 13 nowhere else to put them. And we had an immediate need to
 14 get the 20,000 and 40,000 parts per million lead out of
 15 here, even for those children who might only spend a few
 16 weekends a year here.

17 MR. J. ANDERSON: So basically how much money has
 18 the community already spent for moving that material to
 19 that site, and now we have another proposal to move that
 20 material from there to another site?

21 MR. BROWN: Well, it's not going to add
 22 significantly to the cost, because, first of all, we didn't
 23 have to move it very far, and we had nowhere else to put it
 24 in 2004. Dick Bennett, who owns that property, was willing
 25 to allow us to put it there. And then we capped it. And

1 when the prospectors were running around and digging up the
 2 mountain sides, is that they didn't know the chemical
 3 composites that were underneath the soil that was covering
 4 up these elements. And once you take that, the over top,
 5 we call it overlay or topsoil, off or dig holes and bring
 6 the stuff out, you're bringing out minerals and stuff that,
 7 added to water and air, make basically the problem that
 8 we're seeing now a hundred years later.

9 MR. BROWN: That's right.

10 MR. J. ANDERSON: And the only way that we can
 11 possibly fix this on a permanent basis is bury all this
 12 stuff again and make the sites designated to not be moved
 13 or dug up again. And that, you know, by covering them up
 14 and not allowing the elements, such as rain, water, or air,
 15 the creeks will eventually clean themselves up and be back
 16 to, like you say, 2000 or 450 parts per million or
 17 whatever.

18 MR. BROWN: I agree with you.

19 MR. J. ANDERSON: But then on the other hand,
 20 you'll have those weather conditions and fire conditions
 21 where there's just nothing you can do, as far as you know.
 22 You get an area up above that burns, has a wild fire and
 23 completely burns out all the vegetation, and then we get
 24 two feet or three feet of snow where it warms up to 50,
 25 60 degrees and melts, you're going to have a mountain side,

1 Dr. Baker is right, if a big flood came along, it's going
 2 to go downstream. But it was protected against at least
 3 moderate floods. That's the best we could do. Now we want
 4 to get it out of there. The cost so far that EPA has spent
 5 and its taxpayers' money -- we can't charge it to anyone
 6 but the federal budget -- was about \$600,000 or \$700,000.
 7 The studies that we've done are another probably two or
 8 three million up to this point. And --

9 MS. LeCOURS: Scott, sorry to interrupt, but you
 10 also may want to indicate, when the pile is moved from the
 11 creek, there's also more that is going to be taken out.
 12 We're not just going to be taking out what we put on there.
 13 There was already a pile there. So we will actually be
 14 moving that as well.

15 MR. BROWN: Good point. Thank you. Actually we
 16 added half again as much or a little more than 60 percent
 17 more. So there was already a need to do something with it.
 18 And, yes, it was a temporary action that we took.

19 MR. J. ANDERSON: Well, you know, what I see as
 20 the problem that we have here, and we keep throwing money,
 21 good money after bad money, and it's just -- I mean the
 22 taxpayers across the board of the United States are picking
 23 up these kinds of projects. And there needs to be a fix,
 24 you know, go in and fix it, get it done. And the only
 25 thing that I see here, you know, back in the early 1800s

1 the whole mountain side slough off again and move down into
 2 the creek, and it will be totally contaminated again.

3 MR. BROWN: Well, I can't disagree with anything
 4 that you say. But as I stated earlier, the problem we face
 5 is limited funding and trying to protect the community of
 6 Neihart as best we can. There is no perfect solution.

7 And one could argue that we should first go up
 8 into all of these areas that sit above Neihart before we do
 9 that [clean up Neihart residential areas]. But then the
 10 basic question is where is the exposure likely to occur?
 11 The exposure is occurring where the kids are playing or
 12 where they're likely to play, and that's in Neihart. And
 13 then you hope and pray that you don't get a lot of it [more
 14 lead] washing down [from the mines and waste piles on the
 15 timbered slopes above Neihart].

16 I happen to think, this is my own personal
 17 opinion, I'm happy to have you who have lived here tell me
 18 what you think, that a lot of the contamination that we
 19 find here in Neihart came from miners that brought it first
 20 by wagon, then by old trucks. It was carelessly handled at
 21 these mills. And then there was a train, and I don't know
 22 how efficient the train was. And then there were the
 23 floods that moved it around. But it was probably all
 24 associated, or most of it was associated with early
 25 careless handling.

1 Now, they didn't think it was careless at the
2 time. They were building a state, you know. We all
3 respect and appreciate what these miners did. They brought
4 food home, and they built Montana. But now we have to try
5 to fix the problem.

6 I don't think we're going to see those [days]
7 again. And if we are going to see mining on a large scale
8 again, you know it's going to be more controlled. It's
9 going to be more environmentally friendly. So the best we
10 can do is to try to get it out of these residential areas.

11 The casual person who goes up and plays on an
12 unsafe waste pile is not going to be exposed to the point
13 where there's a danger. It has to be daily -- a daily
14 contact -- and mostly children who drop there sucker and
15 put it back in their mouth.

16 MR. LEWIS: That pile you pointed out there that
17 recently moved, how contaminated is that?

18 MR. BROWN: Don't know but I suspect.

19 MR. LEWIS: I thought there was previous testing
20 of that pile. That was mostly an unloading dock for that
21 guy to get his big equipment off and take it up there.

22 MR. BROWN: Could be.

23 MR. LEWIS: I know where a lot of that gravel or
24 tailings went, and that's why I'm asking you how
25 contaminated it is, because that was used for stabilizing

1 marshes right up O'Brien, I remember that, and all over
2 town.

3 MR. BROWN: I have a feeling that things get
4 mixed up. And if it was this close to the mill, there's
5 probably some pretty high levels of metals in there.

6 MR. LEWIS: Leading me to my next question.

7 MR. BROWN: We want to stop that.

8 MR. LEWIS: I've got 1,000 yards of that under my
9 carport. So what's going to -- how deep are you going to
10 go?

11 MR. BROWN: Let's bury it.

12 MR. LEWIS: The house, okay.

13 MR. BROWN: We know that there are more
14 mechanisms than we can imagine by which soil --
15 contaminated materials -- were brought into Neihart. And
16 now, again, recreationists and fishermen and casual
17 visitors really face -- their greatest risks are the unsafe
18 conditions under these exploration holes and unsafe shafts
19 and things like that. In terms of human health, it's
20 children's exposure in a residential setting [that is most
21 important], and that's what we were concerned about.

22 MALE SPEAKER: You thought it was topsoil.

23 MS. BELTRONE: Does the cleanup that was proposed
24 remove that pile that's in the picture [pointing to a photo
25 of the Queen of the Hills mill north of Neihart]?

1 MR. BROWN: This one?

2 MS. BELTRONE: No?

3 MR. BROWN: No, not yet. And ask me why?

4 MS. BELTRONE: And why, Scott?

5 MR. BROWN: Because -- and this is purely
6 subjective. Where does a child face a greater risk:
7 Coming out of [playing in] Neihart or going around that
8 dangerous corner on the highway to get there [the Queen of
9 the Hills mill] to play in? Which is the greater risk?

10 MS. BELTRONE: That's not to say it's at the
11 carport.

12 MR. BROWN: We've got a lot of the problems in
13 the timber on both, especially on the east side. And we
14 can't get to those [areas] yet. We've got to address those
15 areas where we think children are likely to play. And I
16 don't think any mom or dad or grandma or grandpa is likely
17 to let the kids play there [referring to mines and waste
18 pile above Neihart]. Just to get there, on the highway
19 over this hill, is a very dangerous thing to do. So we
20 think it's not a high likelihood of exposure. It doesn't
21 mean it should sit there forever. That's what we will
22 address next.

23 MS. GODWIN: So is that where the institutional
24 controls come into it, as far as letting people know not to
25 take dirt from that area?

1 MR. BROWN: Well, I hope it's more than letting
2 them know they shouldn't. I think in areas where we've
3 [EPA] been involved, we've had boards of health pass
4 regulations against the indiscriminate transport of
5 materials. Even if you don't think it's contaminated,
6 there has to be a permit in some counties.

7 MR. O'NEILL: You would have to fence it.
8 Getting back to whose got the liability and such, up on
9 that hillside, he was just pointing at, okay, there's
10 pieces that are for sale up there, 13 acres, 35 acres and
11 all of that, and they're covered with mine dumps, where
12 does the liability go when somebody buys the 13-acre piece
13 up there? Do we still pay for it out of the Superfund or
14 does the liability go with the property?

15 MR. BAIRD: You want me to answer that one?

16 MR. BROWN: Yes, that is why I brought you up
17 here.

18 MR. BAIRD: Under the Superfund statute,
19 landowners, whoever owns the land, has liability for the
20 contamination on it. EPA, however, has a policy that says
21 that, if you're building a residence or you have
22 residential property and you didn't put the waste there or
23 cause an exacerbation of the problem and you cooperate with
24 EPA during a cleanup, we're not going to charge you any
25 kind of cost recovery in a case like that.

1 So to answer your question, I mean, whoever is a
2 landowner of contaminated property has the liability.
3 However, in most cases, for residential purposes, we don't
4 do any kind of cost recovery against the residential
5 landowner.

6 MR. BROWN: Good idea. Each question that you
7 ask, would you please state your name.

8 MR. O'NEILL: Sonny O'Neill.

9 MS. EKSTROM: In the interest of time, since we
10 have 12 people signed up who want to give comment, what
11 we're going to do is break now and people can come up and
12 look at the displays. And if you think of any other things
13 you want to ask, we can do that afterwards. And take about
14 a ten-minute break and get some coffee, things like that.

15 And then when we come back, what I'm going to do,
16 there was a spot on the sign-up sheet that indicated
17 whether you wanted to comment, and since there's 12 people,
18 I'm going to call people up in order. You don't have to
19 get up, but state your name for the stenographer, tell us
20 what your comment is or question, and then we'll take that
21 down. And hopefully we're going to try, I think we're
22 going to go with four minutes a comment, because that's
23 about 45 minutes or thereabouts. So that should get us
24 through at a reasonable hour.

25 And if there's, and if there's anyone who is not

1 on the list who wants to ask a question or give a comment,
2 once we've gone through, then it will be your turn. That
3 will be great.

4 MS. LeCOURS: Can you clarify the difference
5 between what we were just doing and what is happening after
6 the break?

7 MS. EKSTROM: Yeah.

8 MS. LeCOURS: Thank you.

9 MS. EKSTROM: The question and answer period was
10 more of a give and take. And typically in Superfund
11 proposed plan, when you get to the comment section, there's
12 not going to be an answer given by EPA. Scott may feel
13 like he wants to say something or provide an answer. But
14 typically people get up, they state their concern or they
15 state a comment; or, you know, if you're happy with what is
16 going on, feel free to state that. If you have concerns,
17 state that. And bear in mind that you also have an
18 opportunity to provide comment in writing. So if it's a
19 complicated comment that might be better served in writing,
20 we encourage you to do that, since there is going to be a
21 four-minute limit. Does that cover it, Cathy?

22 MS. LeCOURS: And those will be responded to?

23 MS. EKSTROM: Yes, right. Yeah, I said that
24 earlier. The comments will come in. We'll have the
25 transcription. EPA will go over each of the comments. A

1 lot of times we categorize them. There will be a lot of
2 comments addressing the same subject, so we'll categorize
3 them and answer them all in that category; or we will
4 answer each one of them each individually. And those will
5 be in a response summary document, and that is included in
6 the recommended decision that will come out. So that will
7 be a public document, and everyone can read that.

8 And, again, your comments will be taken into
9 account in EPA's final decision on what the plan will be at
10 the site. So we encourage you to make comments. And if
11 you don't feel comfortable standing up and giving a comment
12 orally, you can e-mail it or send it in by mail.

13 MR. BROWN: And we welcome you to come up and say
14 what you would like to say tonight. And if you would like
15 to write six more letters to us to define what your
16 thoughts are, we welcome that. Make as many comments as
17 you like.

18 Furthermore, it's not uncommon for the community,
19 for the health department, or the health board, or the
20 county commissioners to say, EPA, given the complexity of
21 this and our uncertainty over institutional controls and
22 we're just not sure yet, we want another 30 days to
23 comment, and we would like you to come back and explain
24 some things a little better, or we've got more people who
25 want to make comments, or we want to hear what these

1 comments are, what comments have you gotten after 30 days,
2 we're happy to do that. We can extend the comment period.
3 We usually do, in fact. And we can have another comment,
4 another session like this, if you would like.

5 And so it's up to you at this point. You tell us
6 what you need, so that you're comfortable. I can't let it
7 go six months or a year, because we need to make some
8 decisions, but do let us know.

9 MS. STRATHY: I have one, but I'm not a very
10 competent computer user. Will some of these, like a
11 summary of comments, be on a web site anywhere?

12 MR. BROWN: That's a good idea.

13 MS. EKSTROM: In many sites, we do put them up on
14 a web site.

15 MR. BROWN: Would you like us to do that, as
16 we're getting the comments, is to distribute them on a web
17 site?

18 MS. STRATHY: Yes.

19 MR. BROWN: Done. Thank you, Robin.

20 MS. EKSTROM: Five or ten minutes for a break?

21 MR. BROWN: You're the boss.

22 MS. EKSTROM: Okay. Let's do ten, because that
23 will give people a chance to talk. And afterwards if
24 there's something that you want to discuss with us not on
25 the record, that's fine too.

1 (Whereupon, a recess was taken at 7:28 p.m. to
2 7:41 p.m.)

3 MS. EKSTROM: I didn't have on my new reading
4 classes, so I accidentally read the column that said people
5 that wanted to be added to the mailing list. And we have
6 12 people that wanted to be added to the mailing list.

7 We actually have fewer people who want to give
8 comments during the meeting. So it won't be such a crush.
9 But we do have, lets see, six signed up right now. And we
10 will call those people, and call on those people one at a
11 time in the order that they signed up. And, again, if
12 anyone wants to give a comment after that, just raise your
13 hand, and we'll call on you. So this is just to make sure
14 that we get the people who indicated that they wanted to
15 comment, give them a chance.

16 So the first commenter will be Peggy Beltrone,
17 and I'll let you know if you go past four minutes.

18 MS. BELTRONE: Thank you. Peggy Beltrone,
19 chairman of the Cascade County Commission, also member of
20 the Cascade County Board of Health.

21 I just wanted to make a comment that we will be
22 reviewing this information as a board of health at our
23 upcoming meeting. And at that time we might consider
24 asking for additional time to make a recommendation. But
25 the board of health will be coming forward with a comment.

1 this cleanup for all our citizens, as well as tourists or
2 recreationists that come up here. And I think it's a
3 really good thing.

4 Just small children were mentioned quite a bit in
5 the conversation earlier, and we have three new families
6 that bought property or moved into town just this summer,
7 and they have children that are grade school or middle
8 school age, no older than that. So we have more exposure
9 now than we've ever had, since I've been here anyway. So
10 we have to get that lead out.

11 The town of Neihart is working towards the same
12 thing on our 115-year-old waterline up O'Brien Creek that
13 has lead joints. And so every citizen and tourist is
14 exposed to lead in the water to some very small decimal
15 number. I don't know what it is, but it's there, and we
16 want to get rid of it. All we've got to do is find the
17 money to do that.

18 So we've both got our agendas, and I think
19 they're both good ones. So I'm all for remedying this
20 situation, and I know that they will do a good job. Based
21 on their '04 activity, they did a great job. They attended
22 to everyone's needs, and there was no comments or no
23 complaints that were left here when they left. So
24 everybody was satisfied, and I'm sure they will be again
25 this time.

1 Just some of my reaction to what I've heard here
2 is a concern about the institutional controls or how can we
3 guaranty that this cleanup is enough and stays clean with
4 the many piles of slag and contamination in the area. So I
5 know that the board of county commissioners has discussed
6 at length the need to understand and receive funding for
7 institutional controls, such as education into the future.
8 And I imagine our comments and the comments from the board
9 will continue to along that line.

10 And I do appreciate the EPA for responding so
11 quickly to the remedial action two years ago. There was a
12 lot of debate in this community about going to that
13 Superfund designation. There were comments at the time
14 that going to a Superfund designation would go to a
15 fencing -- putting fences around properties and keeping us
16 from developing. And so I'm going to remember those
17 comments from my constituents at the time when they were
18 concerned about what might happen if it became a Superfund
19 and remember the intent of folks wanting to continue to
20 have development of properties here and a continued legacy
21 for this valley.

22 MS. EKSTROM: Thanks, Peggy. And next we've got
23 Bill Lewis.

24 MR. LEWIS: I'm Bill Lewis, the mayor of this
25 small town. I feel it's my duty, as the mayor, to support

1 MS. EKSTROM: Thank you, Bill. Next, and I
2 having trouble with the last name, it looks like Andy
3 Baker. Is it Baker?

4 MR. ANDY BAKER: Yes.

5 MS. EKSTROM: Great.

6 MR. ANDY BAKER: My name is Andy Baker. I'm a
7 part-time resident of Monarch, when I come to visit my dad.
8 I work professionally as an engineer up in Alaska. And
9 just here to come to the meeting and learn about this.

10 I was reading the alternative 2(b), the preferred
11 alternative. It says there's 7,300 cubic yards of soil and
12 roadway material and then another 27,850 cubic yards of
13 Neihart tailings waste will be removed. Scott, in your
14 presentation, you didn't indicate that a site had been
15 found where this material would go to, and yet there is a
16 cost estimate. So until a site is identified, you do not
17 know how much it's going to cost to move the material. And
18 I guess I just thought people should be aware of that.
19 That seems to be the hard nut here, because the material
20 got moved in 2004 to a place where now it has to be moved
21 again at an additional cost.

22 The tough question is where is it going to go to.
23 And I don't think that's been answered yet. I'm sure
24 you're working on it. I just bring that up because, if the
25 cost, if you said that half of the cost of the cleanup

1 would be moving the materials, the tailings, if you don't
2 know where they're going, then you really don't know
3 exactly how much it's going to cost. So you allocated
4 money to try to cover that. But I guess my comment is what
5 if it would actually cost more than that to move it to a
6 site that would fix the problem and it's further than you
7 think it is or you don't know. That's my comment.

8 MR. BROWN: Thank you. That's a good comment.

9 MS. EKSTROM: Okay. Great. And the next is
10 David Baker.

11 DR. BAKER: Yes. I'm Dr. David Baker from
12 Monarch. I'm a research scientist and earth scientist.

13 And my comments are on the major plumbing and in
14 particular with respect to the deep aquifers. Because all
15 of the waste, that is a high energy environment, and the
16 wastes, the heavy metals, simply go down the creek sooner
17 or later. Just when you walk up here, it gets down past
18 Monarch, it's gets flowing across limestone. In the middle
19 of August, the entire flow of Belt Creek disappears into
20 the ground.

21 Our previous conceptions about the famous Madison
22 limestone aquifer was that it was taking thousands of years
23 to reach Giant Springs in Great Falls. However, they have
24 measured tritium coming out of Giant Springs. Tritium is
25 from atmospheric testing of hydrogen bombs. They've

1 measured fluorophore hydrocarbons coming out of the
2 springs. By looking carefully at which of those compounds
3 are coming out, the revised estimate is 20 years transit
4 time from the Little Belt Mountains up to Giant Springs.
5 So that's a very different picture. You have heavy metals
6 that are going down the creek. They can go into a deep
7 aquifer. Giant Springs, they'll selling the water with the
8 bottling company as a good alternative to getting city
9 water. It's a big plumbing concern.

10 MS. EKSTROM: Okay. Thank you, David. Vic
11 Andersen.

12 MR. V. ANDERSEN: I'm Vic Andersen. I'm with the
13 Department of Environmental Quality in Helena. I'm a
14 bureau chief of the mine ways cleanup bureau.

15 We have three major concerns, and we'll be
16 delivering more detailed comments later. Our concerns are
17 the cleanup level. The state wants a lower, more stringent
18 cleanup level. The second one is the area, we want all of
19 Neihart cleaned up, not just developed lots and a few
20 undeveloped lots nearby. We want everything sampled and
21 cleaned up, thereby negating any need for institutional
22 controls. It will be available for development,
23 residential and otherwise, to other parts of the county.
24 And what is my third one? Help me.

25 MS. LeCOURS: The institutional controls.

1 MR. V. ANDERSEN: Yeah. The institutional
2 controls. Long-term memory is another one. The
3 institutional controls, before we, the state, would buy
4 anything or ask that the county buy into anything, we want
5 them spelled out in painful detail and costed out, so that
6 everyone knows exactly what it is that they're buying into
7 or not buying into.

8 Like I say, our comments will be more detailed
9 later, and I assume show up on the web site, when we get
10 that up and running.

11 MS. EKSTROM: Well, that was quick. That was
12 everybody who signed up. So if anyone else wants to
13 comment, you know, it doesn't have to be technical. It
14 doesn't have to be -- it doesn't have to be anything. It
15 could be just how you feel about what is going on, or do
16 you have concerns, or you're happy with something. You
17 like cookies. Well, great.

18 And we'll be here if anyone wants to discuss what
19 is on the board again. That seemed to be pretty popular,
20 breaking up and talking to other folks. So if that's all,
21 then good night. Thanks for coming. Drive carefully. And
22 we will have the comment period open until the 18th, unless
23 it gets extended. Scott says another 30 days.

24 And we'll let you know also, if it doesn't get
25 extended and the comment period is over and the comments

1 are available to the public and available on the web site,
2 we'll make a comment and let everybody know.

3 MR. J. ANDERSON: I think it should be extended
4 for the simple fact like the gentlemen -- what was your
5 name?

6 MR. BAKER: Andy Baker.

7 MR. J. ANDERSON: Like Andy said, we've got an
8 estimated cost to move this stuff, you know, somebody
9 putting in a bid to do some of the work, not knowing where
10 the site is going to be to move this stuff, you know,
11 you've got the cart before the horse.

12 MR. BROWN: You know, I think it's our
13 prerogative to help you out with some of these. Normally
14 we don't like to try to answer your comments, but if we can
15 and it helps you all, Bob, let's take a moment and talk
16 about that. That's a legitimate concern that Andy has
17 raised.

18 Let's talk about the assumptions that we have
19 made in our feasibility study and past history of being
20 able to then stick pretty close to those costs that we've
21 estimated. We did take into consideration that, you know,
22 you talked about the sites that you've examined.

23 MR. RENNICK: We did a preliminary look at what
24 we call the preliminary area of depository studies. We
25 looked at places where 27,000 cubic yards of material could

1 go. And we looked all up Snow Creek and Carpenter Creek
2 looking for areas that were flat enough, that were on the
3 sunny side of the valleys, so you get a lot of the
4 evapotranspiration off of the reclaimed surface of this
5 repository, where you wouldn't get water percolating down
6 through it. Flat areas, sunny areas, areas with property
7 ownership, how far it is from town, things like that.

8 And what we did was we made assumptions. And, I
9 guess, the primary assumption is that the repository would
10 be located somewhere around eight miles from here, eight
11 miles up or seven miles up Carpenter Creek, like where the
12 Carpenter Creek tailings is now. That was one of our
13 probable sites. Because Carpenter Creek tailings, if
14 anyone -- a lot of you have driven up there and you have
15 seen that, it's obvious that something has to be done with
16 Carpenter Creek tailings eventually. They have to be moved
17 out of the creek bottom. The stream has to be
18 reconfigured. So we thought that we might be able to
19 combine moving the tailings from here up there with that
20 construction as well.

21 So we made a series of assumptions. One is that
22 the trip was going to be eight miles, and factored that
23 into the cost. If you go to the feasible study, and you
24 can get it at the Belt Creek Ranger station, and it
25 explains in painful detail all those assumptions, and then

1 safely and do it in a cost effective manner.

2 One thing we know: We can't take those two
3 tailings deposits on Carpenter Creek and move them 20 miles
4 away. Nobody here would support that. You're talking
5 about tens [of millions of dollars], if not \$100 million to
6 do that. So that's what we're working on. And it's an
7 intricate process. And I want to think that we can take
8 care of those three problems: Neihart tailings and those
9 two big piles on Carpenter Creek. And as soon as we can
10 get that done, we can move up to the Silver Dyke tailings.

11 MR. BUROW: Just can I ask another question?

12 MR. BROWN: Sure you may.

13 MR. BUROW: I'm Fred Burow. She's still taking
14 notes, so I'll get that in there. And, yes, I am running
15 for office. I'm running for Cascade County Commission, and
16 that is why I'm here tonight.

17 The other reason I'm here is because I do enjoy
18 this area quite a lot. I've camped a lot up towards the
19 Hughesville area. We've spent a lot of time up there. I
20 enjoy fishing these streams. So that's one of the reasons
21 I'm here. I want to know what I'm catching and what I'm
22 eating.

23 But the other question I have, since this has
24 already been established as a Superfund site and what have
25 you, you have a fund that has been set up in the amount of

1 back here where we figured the cost. I mean you've done
2 this probably as an engineer. But all of the assumptions
3 are in here too, distances, types of trucks that would be
4 used, that kind of stuff.

5 MR. BROWN: I would like to add, Andy, that the
6 Forest Service and EPA have been talking for a couple of
7 years. Our attorneys are talking to each other. And each
8 time we talk, I see more promise with those two big
9 tailings deposits that slipped down from the Silver Dyke
10 Mine up on Carpenter Creek and have caused an environmental
11 catastrophe up there. You can think of many, many reasons
12 Monarch people would like to see those cleared out of the
13 flood plain and reconfigured. Well, we think this is a
14 great opportunity to move things [contaminated soils] out
15 of Neihart and move the Neihart tailings out of the flood
16 plain. Those are immediate threats, health threats,
17 combined with environmental threats. And then combine that
18 with fixing those two big problems, maybe even all the way
19 up to the Silver Dyke tailings deposit up there.

20 It sounds energetic, but we have to think that
21 way. We can't deal with each problem separately, and we
22 can't just imagine that we can't do those things. So we,
23 over the next several months, are really going to push to
24 work with the forest service to find an area where we can
25 consolidate those [tailings piles on Carpenter Creek] all

1 so many dollars. Can you tell us what that figure is, how
2 much has been allocated for this clean up and how much has
3 been spent to date.

4 MR. BROWN: Nothing has been allocated. Each
5 year EPA has to, we in the Montana office, have to go to
6 our headquarters in Washington, D.C., and say here is a
7 proposal. So the proposal we've put before you today,
8 estimating \$3.8 million, if we get the nod from you that
9 you can live with that, then we can go to EPA Washington
10 and we can say we need this money for 2007 to get it
11 started. So all we can tell them is we think the whole
12 cleanup is going to be about 3.8 million, and it may take
13 two or three years to do it. So we're going to need a
14 million to get started. And we won't know until later on
15 in the year whether or not we're going to get that.

16 And I think I said it earlier, I would like to
17 say it again, we're optimistic that, if the price tag
18 doesn't get too high here, that we're going to get
19 approval, and that we can start in 2007, and we can put a
20 pretty big dent in this.

21 I happen to also know, Bill, that was it you or
22 someone asked me to look into that pipe. That's a
23 competitive process. You were about 50th in line in
24 Montana.

25 MR. LEWIS: Yeah, that's not good enough, because

1 there's some bridges ahead of it, and I cannot see --
 2 MR. BROWN: About 50th in line to get roughly a
 3 50/50 match to fix that water supply line that comes down
 4 from O'Brien Creek. All of this is competitive. And I
 5 can't promise that if we go to Washington, D.C. and say we
 6 need 3.8 million over the next two or three years, I can't
 7 promise that we're going to get it. But because it's a
 8 human health matter, not strictly an ecological matter,
 9 there's a better chance of it.

10 MR. BUROW: Roughly how much have you spent to
 11 date? You were up here in '04 and did a lot of clean up.

12 MR. BROWN: In 2004 EPA used what we called
 13 emergency funding, and that was about \$600,000 to \$700,000.
 14 But the studies that we've been conducting under Superfund,
 15 since it was designated a Superfund site, the studies have
 16 probably come up to between \$2.5 million and \$3 million so
 17 far.

18 MR. BUROW: Thanks. That includes all the
 19 studies you've done?

20 MR. BROWN: Yes, so far. And the \$3.8 million
 21 that we're proposing would include engineering design and
 22 everything else.

23 I have to make one more comment about
 24 institutional controls. I appreciate your concern, but,
 25 you know, EPA can only do so much. We can't come in and

1 make everything right again.

2 What was Neihart -- what was the board of health
 3 doing, and what were the county health department and the
 4 county commission doing to protect public health up here
 5 before this was a Superfund site? You still have that
 6 obligation. Now it's a little more evident, but EPA is not
 7 the one to decide what the institutional controls should
 8 be. You have to tell us what institutional controls you
 9 want to fit into this, and then we adopt them. We say this
 10 is what the community -- this is what the local governments
 11 need and want to protect. So when we're gone -- you want
 12 us out of here; we want out of here -- we don't want to
 13 tell you what to do. So you have to tell us what are the
 14 institutional controls that you need to protect the
 15 citizens and the recreationists and the residents of
 16 Neihart.

17 So I'm sorry that that sounds a little brash, but
 18 that's the way it is. Counties and cities have to tell us
 19 what the institutional controls are and what you can live
 20 with 20 years down the road, because we're going to be
 21 gone. We can just help you get this to a certain level,
 22 and then we're gone. And I think that's what you want.

23 MR. LEWIS: Well, I can tell you in a word what
 24 happened before you came. Nothing, nothing.

25 MR. BROWN: We're all to blame.

1 MR. LEWIS: But that's a reality. We did have
 2 some state guidance on the water supply. And we've been
 3 living with a heavy burden ever since.

4 MS. BELTRONE: Scott.

5 MR. BROWN: Peggy.

6 MS. BELTRONE: I think it's important to put this
 7 into perspective in terms of the resources of the taxpayers
 8 of Cascade County and what they can afford to clean up on
 9 what you described as this nationally important
 10 contribution that was made from this area. And I think
 11 that to assume that in the plethora of duties that the City
 12 County Health Department and the Cascade County commission
 13 has to do that we can be experts on what institutional
 14 controls are necessary. We need to look to EPA and look at
 15 examples of what has happened in the mountain community in
 16 Colorado and as to what has worked and what will work to
 17 clean up this area that you know is a national treasure and
 18 is a national responsible.

19 So I guess I would lay it back to the EPA and say
 20 it is important for us to have your best recommendations on
 21 what has worked in other parts of the country. And short
 22 of that, we're going to have to look at what else we can do
 23 to get this area clean, because we'll be back to this same
 24 situation, if we can't control the migration of this
 25 contaminant back into the community or, you know, from

1 outside of the community randomly taking from this pile.

2 So it's really something that we made a conscious
 3 decision to seek the Superfund designation for these areas
 4 up here, because we were overwhelmed with other
 5 responsibilities running county government and the
 6 resources of the very small population comparatively. So I
 7 would just like to make sure that that is on the record.

8 MR. BROWN: Well, thank you. That's important.
 9 Cherry.

10 MS. LONEY: I wanted to add something to
 11 Commissioner Beltrone's. In terms of resources, the
 12 resources that you described that EPA has put into the
 13 cleanup so far equals almost the entire operating budget of
 14 the entire City County Health Department for all of the
 15 myriad of activities and services we provide. So it just
 16 simply isn't feasible for us to develop resources. We
 17 don't have any discretionary money to put towards a lot of
 18 institutional controls. So the cost is a very real issue
 19 for us. We don't want to institute something that simply
 20 isn't doable for us.

21 MR. BROWN: Well, Catherine and I stand behind
 22 the commitment we have made to Cascade County. And I hope
 23 it will be known by the Neihart residents that we have met
 24 with Cherry and her staff and Peggy and the fellow
 25 commissioners many times. So we'll go to bat for you.

1 We'll knock ourselves out to try to get funding for the
 2 county, so you can manage those [institutional controls].
 3 But the decision about what they should look like
 4 and how you want them to look in the end is your decision.
 5 So I'm going to ask you the question one more time: What
 6 is the more real threat in the future to Neihart after EPA
 7 is gone? That we didn't get enough soils out of Neihart?
 8 Or the indiscriminate excavation of areas that we couldn't
 9 find anyway, no matter what the cleanup level was? Or the
 10 continuing actions of people moving soil around carelessly?
 11 Which is the greater threat? I mean I think we know which
 12 is the greater threat. It's not whether the action level
 13 is 1200 or 800 or 200. This is the greatest threat you
 14 have right here [pointing to map showing mines and waste
 15 piles above Neihart and to the picture of buried waste in
 16 Neihart]. And that's where institutional controls are the
 17 only measure, the only thing that you can do to try to keep
 18 that [exposure to children] to a minimum.
 19 And Catherine and I will go to bat for you and
 20 try to get funding for that, but you have to say this is
 21 what we think the institutional controls need to be to do
 22 that. We're here for the long term, EPA is not. And this
 23 is how much money we're going to need, and I don't know
 24 what that is yet.
 25 MR. BAIRD: Well, and kind of an add on to what

1 dwindling. And at this point in time, EPA only gets
 2 funding for these kind of cleanups through appropriations
 3 through the federal government when they start looking at
 4 the budget. And in recent years EPA has been seeing a
 5 decrease in its overall funding. So there is no giant
 6 Superfund out there anymore that is funding a lot of these
 7 cleanups. We're just like all of the other federal
 8 agencies, we're only able to do some of these projects
 9 based on available funding.
 10 MR. BROWN: So be careful what you wish for.
 11 MR. BUROW: Anyhow, we have a question here
 12 again. I'll go to you.
 13 DR. BAKER: We have a request. This is not
 14 Butte, Montana. This is not Zortman. This is a relatively
 15 small area that has mining and the proper cleanup is
 16 relatively small. What we request is to have government
 17 officials restrain the stream of adverse publicity and
 18 press releases. It's having an adverse effect on our area.
 19 We like to think that we have some things to
 20 offer the tourism, that we have a nice area. We don't
 21 think this is a really disastrous problem. And we just had
 22 a cafe, that had really good food, fail. There is a stream
 23 of bad press that we are on the receiving end, and it's
 24 hyped beyond any degree of reasonableness. We request
 25 restraint on the part of government officials who have

1 you're saying. The institutional controls, who they are,
 2 it is kind of an iterative process. We'll be able to give
 3 some guidance as to what we think will be appropriate. But
 4 I think what Scott is also saying is we need to hear back
 5 from the community as to whether or not some of those
 6 institutional controls are acceptable. For instance, in
 7 cases like this, in a lot of other towns where we've done
 8 residential cleanups, there might be an institutional
 9 control such as, if you're digging in your yard below
 10 18 inches and you uncover something like this, then you
 11 need to notify the proper authorities as to what you should
 12 be doing, or there may be prohibitions that you not dig
 13 below 18 inches without getting some kind of a permit, or
 14 something like that, before you do any kind of digging. So
 15 it is an iterative process where we kind of tell you this
 16 is what we think is safe, but we need to hear back from you
 17 if you're willing to live with those institutional
 18 controls.
 19 And I think as far as the Superfund goes, one
 20 thing I would like to add with that, is the Superfund is
 21 basically gone at this point. There used to be a
 22 Superfund, and they call these Superfund cleanups. But the
 23 Superfund was funded by a tax on petroleum products, and
 24 that tax was not reenacted in the early '90s. So ever
 25 since that tax was eliminated, you know, that fund has been

1 their own agenda to hype it beyond belief.
 2 MR. BROWN: Excellent comment. And I personally
 3 try to do all I can to -- I get a lot of telephone calls
 4 from people out of state. I tell them this is one of the
 5 most beautiful parts of Montana, and it is. But I can't
 6 control what the newspapers are saying. And if you have
 7 some suggestions about ways that we can improve the
 8 situation, other than get moving as quickly as we can,
 9 which we're trying to do --
 10 DR. BAKER: This is a meeting and it can be
 11 reported on in various ways, and it can be exaggerated.
 12 MR. BUROW: I can go next. But, anyhow, Fred
 13 Burow. I guess my thought, listening to some of this here
 14 too, is either the Cascade County Health Department or EPA
 15 or you guys, someone should step up to the plate and some
 16 of these sites like we're looking at here where they're
 17 moving that material should put some kind of signage up
 18 there. Maybe it's shot down. But at least try to put
 19 signage up asking people not to be moving contaminated
 20 soil, this is contaminated soil.
 21 MR. BROWN: You know on the surface that always
 22 sounds like a good idea. But when we start putting signs
 23 up -- Bill --
 24 MR. LEWIS: Yeah, that's a good idea.
 25 MR. BROWN: -- would you like that?

1 MS. BUSKIRK: No, because there's all our bad
 2 press right there. It's all --
 3 MR. LEWIS: A fence with nothing on it is better
 4 than a sign.
 5 MR. BROWN: And fencing things off that have a
 6 low probability of creating exposure for children is what
 7 we have to consider at this point. We can't do it all at
 8 once.
 9 MR. BAIRD: Well, and one thing I would like to
 10 say with regards to that. Earlier I had talked about how
 11 residential property owners had no liability when we did
 12 cleanups. If, however, somebody does go to some of these
 13 places and brings a whole bunch of this material onto their
 14 residential property for filling, for yard work, whatever,
 15 that changes the whole policy. At that point they do
 16 become liable, because they actually brought the waste to
 17 their property. That's something you can get out too, if
 18 you're going to be bringing this stuff to your yards, to
 19 your property, you're going to be liable for it. That's a
 20 whole different scenario.
 21 MR. BROWN: Sir.
 22 MR. HAMLETT: My name is Brad Hamlett. My
 23 question is who is the lucky owner of these mine sites and
 24 tailings? Who does the property actually belong to?
 25 MR. BROWN: Well, we know who the owners are or

1 MR. J. ANDERSON: I've got some comments.
 2 MR. BROWN: Your name.
 3 MR. J. ANDERSON: Jerome Anderson. You know,
 4 we're all here. I come to be a part of this meeting
 5 tonight because I live in Montana, was born here, and I've
 6 been around this area, and I've seen some of this, the
 7 mines and stuff. And, yeah, they look nasty. They look
 8 ugly. They need to be cleaned up or refurbished or, you
 9 know, like they want to move this one pile down here to
 10 another site. I guess the reason why I come is to make
 11 sure that the dollars that are going to be spent, as a
 12 community of Cascade County, is going to get the most done
 13 for that money, okay, and fix the problem once and for all.
 14 And common sense has to come into play here.
 15 You know, Peggy said, you know, we need to rely
 16 on EPA. Well, we have things in play to protect problems
 17 of moving dirt and stuff like that. It's called going to
 18 the state and getting a permit to have a pit. A pit is
 19 where they take gravel out of, topsoil, those kinds of
 20 things to put on people's places and develop. Okay.
 21 Common sense, we need -- if we're going to have a community
 22 up here, we need to find a place that can be tested, that
 23 has clean soils, and can designate that a pit, if somebody
 24 needs some gravel, needs some topsoil, those type of
 25 things. And if we don't do that, then we're going to have

1 who has the mineral rights. We do have all of that
 2 information. I can't always tell you right off the top of
 3 my head. Probably people in here who can. Dick Bennett
 4 can. And I've often spoken with him about these things.
 5 He's just an encyclopedia, so is Dr. Baker. But that
 6 really isn't something for us to be -- to spend a lot of
 7 time on yet and perhaps never, because most of these mining
 8 claims belong to families. And, as Rick said, it's not our
 9 policy to go after someone whose grandfather may have made
 10 a few bucks and, you know, 50 or 100 years ago. We just,
 11 we're just not going to do that.
 12 MR. HAMLETT: Well, mineral rights are one thing.
 13 Who owns the surface rights? Federal government, state
 14 government?
 15 MR. BROWN: Well, the Forest Service owns quite a
 16 bit of land around here, but most of these mining claims
 17 are not on Forest Service land. Most of it is private.
 18 And, you know, each situation is unique. And believe me,
 19 we've looked at all of them. Most of them are families,
 20 who might have inherited this, and they're the third or
 21 fourth generation, or they're someone that brought the
 22 property recently, because they wanted recreational
 23 property. They have no intention of mining. It's not our
 24 intention to go after those people and say you're
 25 responsible for this terrible mess. We can't do that.

1 this problem of people, oh, this looks like a good spot,
 2 dig up some dirt and haul it to their place. And not even
 3 common sense, they just want some gravel, but yet they're
 4 taking contaminated stuff.
 5 And the mines, to go back years ago, you have a
 6 mine there, they're probably running ten different people's
 7 ores through those mines. One particular site up here
 8 might have the most, highest concentrated parts of lead.
 9 So when that part is run through that mine, that portion of
 10 the tailings will have high lead contents. Other portions
 11 of the tailings won't. So some of that soil, without
 12 having it completely tested from start to finish, you're
 13 not going to know which are the higher and lower levels,
 14 okay. You know, to designate a site to put this stuff and
 15 clean it up, that's great.
 16 But I got one thing to come back to is this right
 17 here, it says October 2004, surface capped and stabilized
 18 to prevent surface water running off to Belt Creek. Okay.
 19 Anytime you are in a mountains region, you've got surface
 20 water. It doesn't matter. It all runs downhill. Just
 21 like we've been to some meetings, upper Missouri River
 22 drainage, this is one of the upper Missouri drainages that
 23 have been thought about becoming a roadless area, no roads
 24 built, no timber harvest, no this and that. This is a
 25 drainage. It goes to Belt Creek. Belt Creek flows into

1 the Missouri River. I mean these things are common sense
 2 things that need to be looked at and go that's why we're
 3 here at a meeting to say, you know, we've got a potential
 4 problem.
 5 The potential problem is the water is going to
 6 continue to run out of this canyon to the Missouri River
 7 for as long as this planet turns on its axis and goes
 8 around and around. And so how can we spend our money to
 9 get the most out of it, so that we don't have these
 10 minerals leaching down into the soil and into --
 11 MR. BROWN: So if you could commit those thoughts
 12 to, very good thoughts, to the next step on how -- what you
 13 would recommend to EPA and the state and the community,
 14 what is that, what in your opinion is the common sense or
 15 the engineering approach that you would take? That's what
 16 we need you to write down.
 17 MR. J. ANDERSON: Can I tell you?
 18 MR. BROWN: No. You've got another minute.
 19 MR. J. ANDERSON: Okay. Find the lowest,
 20 flattest canyon, whether it be Carpenter Creek or one of
 21 these other places, that's got a contaminated, you know,
 22 slag pile, and line it with bentonite, because bentonite --
 23 we've got a dump down there in Great Falls, why did they
 24 put that as a dump, because bentonite holds that stuff, and
 25 it doesn't leach down into the aquifers below the surface.

1 CERTIFICATE OF REPORTER
 2
 3 STATE OF MONTANA)
) ss.
 4 County of Cascade)
 5 I, Joan P. Agamenoni, Court Reporter and Notary
 6 Public for the State of Montana, residing in Great Falls,
 7 Montana, do hereby certify:
 8 That I was duly authorized to and did report the
 9 public hearing in the above-entitled cause;
 10 That the foregoing pages of this transcript
 11 constitute a true and accurate transcription of my
 12 stenotype notes of said hearing.
 13 I further certify that I am not an attorney nor
 14 counsel of any of the parties, nor a relative or employee
 15 of any attorney or counsel connected with the action, nor
 16 financially interested in the action.
 17 IN WITNESS WHEREOF, I have hereunto set my hand
 18 and seal on this the 6th day of October, 2006.
 19
 20
 21 _____
 22 Joan P. Agamenoni
 23 Court Reporter
 24 Notary Public, State of Montana
 25 Residing in Great Falls, Montana.
 My Commission expires: 5/24 2008.

1 If we've got to bring some of that up and line a canyon
 2 with bentonite, line it, put all this waste in there, cover
 3 it over, put topsoil over the top, and get it covered with
 4 lawn, so when the snows melt, they run off, they're running
 5 off over the top of that stuff, and it's clean water into
 6 the creeks and down below.
 7 MR. BROWN: Thank you.
 8 MR. J. ANDERSON: And once that's done, you've
 9 buried the contaminants again, and as long as they're not
 10 opened up or flooded or whatever, pushed down and not
 11 exposed to air and water, then they do not become like
 12 battery acid again.
 13 MR. BROWN: I'm sorry. Put it down on paper.
 14 But I urge you first to read the feasibility study, because
 15 what you just described is in the feasibility study. Thank
 16 you very much folks.
 17 (Whereupon, the hearing concluded at 8:25 p.m.)
 18
 19
 20
 21
 22
 23
 24
 25